

1 NEW JERSEY CLEAN WATER COUNCIL
2 AND
3 NEW JERSEY WATER SUPPLY ADVISORY COUNCIL

4

5

6 In the matter of:

7 2003 PUBLIC HEARING Transcript of
8 RECLAIMED WATER FOR BENEFICIAL REUSE Proceedings

9

10

11 Computer-aided transcript of hearing
12 testimony taken stenographically in the
13 above-entitled matter before KAREN L. DeLUCIA,
14 a Certified Shorthand Reporter and Notary
15 Public of the State of New Jersey, at the
16 Holiday Inn, 390 Foresgate Drive, New
17 Brunswick, NJ, on Wednesday April 16, 2003,
18 commencing at 4:10 p.m.

19

20 GUY J. RENZI & ASSOCIATES
21 824 West State Street
22 Trenton, New Jersey 08618
23 (609) 989-9199 1-800-368-7652 (TOLL FREE)
24 (FAX) 609-392-7978
25 <http://www.renziassociates.com>

1 A P P E A R A N C E S :

2

3

4 KERRY KIRK PFLUGH, Chair

5 ANTHONY McCracken, Council Member

6 FERDOWS ALI, Council Member

7 PASQUALE PITTORE, Council Member

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 I N D E X

2

3 SPEAKERS

4 KIRSTIN McPOLIN

5 RICHARD KUNZE

6 GEORGE HAWKINS

7 DANIEL VAN ABS

8 ANDY ZINKEVICH

9 MATTHEW POLSKY

10 ANTHONY DiLODOVICO

11 ROGER SEDMONT

12

13

14

15

16

17

18

19

20

21

22

23

24

GUY J. RENZI & ASSOCIATES

4

1 MR. McCracken: As I mentioned
2 before, the purpose of our meeting today was
3 twofold. One, to hear some good presentation
4 on the topic that we're taking comments on.
5 Secondly, this is our annual public hearing
6 that we hold as a Clean Water Council where we
7 receive testimony and comments concerning
8 various DEP programs. We then take those
9 comments, we try to package them in a way that
10 we can show to the DEP Commissioner how people
11 feel in the State about various programs and
12 issues that are occurring in the State, and how
13 the DEP can better respond to those comments
14 and concerns and make sure that the programs
15 are designed in a way where public information
16 is available to the Commissioner for his
17 decision. Some of the Council members are
18 present at the table. Also present is Kerry
19 Kirk Pflugh, who has done a great job for the
20 last few years.

21 We have some ground rules for the
22 people offering testimony. We will allow five
23 minutes for your initial testimony; at the end

24 if there's time available if there is no one
25 else presenting and you wish to continue, we

GUY J. RENZI & ASSOCIATES

5

1 can give you an additional five minutes. There
2 was a registration that was offered earlier,
3 and a number of people have registered. For
4 those that haven't yet who would like to
5 testify, there is some cards that you can fill
6 out and bring them forward so we know that you
7 are going to offer some testimony. And also
8 the purpose of the card is so we can respond
9 back to you after the comments have been taken
10 and a response has been formulated to the
11 Commissioner.

12 We are going to be accepting
13 written comments until May 29, and that's sent
14 to the DEP. I believe in your packet there's a
15 sheet in there that indicates where to send
16 those comments. Also when you come up to
17 present, please, again, give us your name and
18 affiliation. And if you have any written
19 submittals that you'd like to offer us, please
20 provide those to the front table as you come
21 in. And we'll be available to answer any
22 questions if you have some specific questions

23 about process.

24 And, again, this is not a forum
25 where we can then discuss back and forth issues

GUY J. RENZI & ASSOCIATES

6

1 of maybe talk about what could or if be. We're
2 looking to receive comments from the audience,
3 and we need to stay on that tract so we can get
4 everybody's comments in. We'll accept those;
5 we'll take those back to the Council; we'll
6 digest them; we'll put them out as
7 recommendations to the Commissioner; and we can
8 send out copies of the responses that came from
9 this hearing.

10 So please with that -- oh, and also
11 I should mention that Kerry Kirk Pflugh will be
12 the official hearing officer for the
13 Department.

14 So our first speaker is Kirstin
15 McPolin. So if you would, please.

16 MS. MCPOLIN: Good afternoon.
17 Thank you for the opportunity to speak today on
18 reclaimed water for beneficial reuse. My name
19 is Kirstin McPolin, and I speak on behalf of
20 Clean Ocean Action, COA, a coalition of 170
21 environmental, fishing, community and business

22 groups concerned with the health of the ocean.
23 COA's comments today focus on the deficiencies
24 of and need for a strong wastewater reuse
25 program in New Jersey that is protective of

GUY J. RENZI & ASSOCIATES

7

1 human health and the environment, subject to
2 public review and formally adopted by the
3 Department of Environmental Protection, or
4 DEP.

5 Beneficial reuse of the reclaimed
6 wastewater in the State of New Jersey is not a
7 common practice, but it is growing. With
8 recurring droughts and increasing populations,
9 the option of wastewater reuse is an important
10 opportunity. COA supports the concept of
11 beneficial reuse of reclaimed wastewater;
12 however, has serious concerns about the lack of
13 formal guidance, rules and regulations, the
14 lack of public involvement in the development
15 of the beneficial reuse program thus far, and
16 the fact that the program is not part of a
17 comprehensive strategy of water management.

18 New Jersey discharges an
19 extraordinary volume of water into the Atlantic
20 Ocean that if properly managed could be

21 reused. Based on COA's report "Wasting Our
22 Waters Away", nearly 170 million gallons of
23 treated fresh water per day are discharged into
24 the ocean totalling to nearly 65 billion
25 gallons annually. If all this water was poured

GUY J. RENZI & ASSOCIATES

8

1 into one-gallon milk jugs and lined up end to
2 end they would circle the earth 412 times.
3 This discharged water is a precious resource
4 that would have naturally recharged bogs,
5 wetlands, rivers, estuaries, and is a
6 considerable volume of water that has the
7 potential for reuse.

8 As part of our report, we also
9 surveyed nearly 200 citizens of New Jersey and
10 found that 71 percent would not oppose reuse of
11 wastewater if the water was treated properly.
12 I emphasize the citizens would only support
13 reuse if the wastewater was properly treated.

14 Despite this fact, New Jersey does
15 not have a final policy or formal guidance,
16 rules and regulations for the beneficial reuse
17 of wastewater to protect human health or to
18 protect environmental health of terrestrial,
19 coastal, and ocean ecosystems. Several

20 environmentally sound reuse programs have been
21 developed in other states as discussed earlier
22 today. And with these new technologies, the
23 quality of wastewater can be restored to
24 certain levels, and as a first step reuse for
25 the non-potable purposes of irrigation,

GUY J. RENZI & ASSOCIATES

9

1 landscaping, golf courses and cleaning
2 streets.

3 Without a formalized program DEP is
4 granting permits for reuse and making decisions
5 under a draft version of guidance that has
6 undergone few changes since its appearance in
7 2000. In fact, when the original version was
8 made publicly available it stated that DEP
9 intended to initiate the development of
10 regulations to promote and implement a reuse
11 program; however, the most recent version of
12 this guidance has deleted any statements of
13 this intention. As a result DEP's plans for
14 the reuse program are unclear and mixed
15 messages are being sent. On the one hand DEP
16 promotes its draft guidance originally
17 introduced in 2000 and issues permits. On the
18 other hand DEP failed to develop and implement

19 formal guidance, rules and regulations to
20 ensure program consistency, public involvement,
21 and environmental protection. This lack of
22 governance can result in negative impacts from
23 reuse which could lead ultimately to public
24 rejection. To address this situation COA
25 recommends the following:

GUY J. RENZI & ASSOCIATES

10

1 Convene a task force of
2 environmental citizens, planners and experts to
3 draft the policy recommendations for reclaimed
4 water for beneficial reuse.

5 Ensure that a reuse program
6 consults with watershed management areas, is
7 subject to public review, is peer reviewed, and
8 includes demonstration projects that involve
9 surrounding communities.

10 Develop formal regulations subject
11 to public review to ensure consistent
12 application of standards to protect human
13 health and the environment for all new permits
14 issued, as well as those already outstanding.

15 In conclusion, the State has a
16 considerable amount of work to do in ensuring
17 that the program is environmentally sound,

18 publicly supported and successful. COA will
19 look forward to working with the Council, DEP
20 and other groups on this issue. We intend to
21 further detail our comments for the record.

22 Thank you.

23 MR. MCCracken: Our next person to
24 testify is Richard Kunze from the Ocean County
25 Utilities Authority.

GUY J. RENZI & ASSOCIATES

11

1 MR. KUNZE: Thank you.

2 My name is Richard Kunze. I'm
3 employed by the Ocean County Utilities
4 Authority, which operates three regional
5 wastewater treatment plants with a combined
6 average annual daily flow of about 50 million
7 gallons per day, which is discharged into the
8 Atlantic Ocean. I'm also a member of the
9 Barnegat Bay Estuary Program Management
10 Committee, which has recently completed a
11 comprehensive conservation and management plan
12 for the Barnegat Bay watershed.

13 My comments are a combination of
14 the OCUA philosophy, and my own personal
15 feelings as an environmentalist. Much of what
16 I'm going to say has already been said.

17 I feel that the use of reclaimed
18 wastewater is definitely a piece of the
19 wholistic watershed puzzle. Unfortunately,
20 since the implementation of the Clean Water Act
21 of 1972, nobody has looked at the use of water
22 from a wholistic aspect. Traditionally water
23 purveyors and wastewater treatment plant
24 operators lived in separate worlds. It takes a
25 drought to get them talking.

GUY J. RENZI & ASSOCIATES

12

1 The use of reclaimed water, and I
2 say water because after treatment it is no
3 longer wastewater, are unlimited. Toilet to
4 tap is technically feasible. Indirect reuse
5 has been practiced by municipalities downstream
6 of the first town on a river for years. Public
7 education, including the education of elected
8 officials is extremely important to acceptance
9 of the concept. Some of my colleagues have
10 said to me that DEP shouldn't encourage reuse,
11 that they should mandate it to get the ball
12 rolling.

13 The cost of additional treatment
14 for reuse will be substantial. As an example,
15 if a wastewater entity recharges to an aquifer,

16 shouldn't the water purveyors who are drawing
17 from the aquifer bear most or at least some of
18 the cost. One small economic incentive could
19 be a rebate on the wastewater treatment plants
20 NJPDES fee for beneficial reuse of its
21 effluent. As a suggestion, a percent of the
22 flow reused should be doubled and rebated on
23 the NJPDES fee.

24 As an example, at one of our plants
25 the annual NJPDES fee is about \$100,000. If 5

GUY J. RENZI & ASSOCIATES

13

1 percent of the effluent is reused, a 10 percent
2 rebate, or \$10,000 should be given. A plant
3 that reuses 50 percent of its effluent would
4 pay no NJPDES fee.

5 Thank you very much.

6 MR. McCracken: Thank you. That
7 was a good suggestion.

8 Next up, Captain Bill Sheehan.

9 Let it be known he's not here.
10 Maybe he has something written he submitted.

11 George Hawkins of Stony Brook
12 Millstone Watershed Association.

13 MR. HAWKINS: Good afternoon.

14 Thank you for the opportunity to speak. My

15 name is George Hawkins. I am the executive
16 director of Stony Brook Millstone Watershed
17 Association that has been concerned since 1949
18 with protecting water resources from head
19 waters to discharge of the Millstone River and
20 all of its tributaries.

21 I do generally have a hard time
22 explaining myself in five minutes, but I will
23 try in four points. First to offer general
24 support to the idea. Second to offer some
25 caveats to that general support. Third to make

GUY J. RENZI & ASSOCIATES

14

1 some specific recommendations. And fourth to
2 highlight the relationship between this issue
3 and the "big map" that we've all heard about.

4 The first, if you gave me five
5 seconds to testify rather than five minutes I'd
6 say go for it. The idea of beneficial reuse of
7 treated water is a good one; obviously there's
8 all sorts of protections we need, but it's high
9 time that move this into a higher level of
10 importance and move forward. So we definitely
11 generally support the idea of beneficial reuse
12 of treated wastewater.

13 The second caveat; these are things

14 you've all heard, but I'll repeat them. And I
15 have at least three; I know that there's more.

16 The first is base flow and
17 streams. In central Jersey many of our streams
18 dry up in the summer, and, in fact, most of the
19 flow is coming from discharge treatment
20 plants. That's not a happy situation, but we
21 prefer flow versus no flow. Obviously the
22 water that has been used by these facilities
23 and is being discharged was percolating into
24 the ground. So in part, the treatment plant is
25 returning to the stream water that has been

GUY J. RENZI & ASSOCIATES

15

1 taken away from the system, but transfers of
2 this sort in reuse has to be looked in the
3 context of the ecological needs of the waterway
4 themselves.

5 Second is inner basin transfers.
6 The question of when you're using and using
7 water for beneficial reuse potentially in an
8 area that's different from the watershed in
9 which it was first found. I think that will
10 come up with the "big map", which is why I may
11 come back to that issue almost inevitably. We
12 do have concerns about that, as well, again for

13 ecological sources of the area in which it was
14 from.

15 The third is human contact. I was
16 pleased to hear about issues like continuous
17 monitoring, automatic fail-safes, and high
18 levels of protection for this water that might
19 come into human contact, but certainly a
20 systematic and regular methods that's applied
21 broadly and fairly.

22 Third for a set of recommendations,
23 and again I have three.

24 The first is to assess this issue
25 in the comprehensive notion of a larger water

GUY J. RENZI & ASSOCIATES

16

1 picture. The question of the stream flows and
2 whether or not you're going to take out water
3 and reuse it, rather than allowing it to be
4 part of the stream flow is a better equation if
5 stormwater rules are allowing more infiltration
6 into the system which supports stream flows.
7 So obviously each of these ideas don't work in
8 isolation, but become strong as a comprehensive
9 solution. It would be good to hear from the
10 Department the strength of all of these
11 solutions together and how important they are

12 to work as a group, rather than isolated issues
13 separately, which by themselves make sense but
14 separately could actually fail. It's important
15 to have a comprehensive water program of which
16 this is a piece.

17 Second is to stage the
18 implementation of water reuse. Obviously
19 there's tremendous question on behalf of the
20 public, as there should be. These questions
21 can be answered, but there's no reason to all
22 of a sudden switch on what has been off, but
23 make sure we have a staged approach; prove and
24 demonstrate, trust but verify as we go forward
25 building upon more and more complicated and

GUY J. RENZI & ASSOCIATES

17

1 more areas where the public may have questions
2 on past success.

3 And the third is in the system
4 that's devised make sure that environmental
5 benefit is reviewed first before there's a cost
6 benefit analysis. Often the cost benefit is
7 supposed to come in where the environment is on
8 one side and cost is on the other. In our
9 judgment there are plenty of projects where you
10 can protect and demonstrate environmental

11 benefit first and make sure that that is a
12 demonstrated truth prior to wondering whether
13 it makes sense. And that should be an initial
14 threshold so that the public does not be
15 concerned about potential harms.

16 Last about this issue with respect
17 to the "big map". The ""big map"" which I
18 heard Amy Goldsmith describe as "green" versus
19 "red"; we'd like to look at the "big map"
20 maybe as a "blue" map, because a lot of what's
21 driving the mapping is water resources. It is
22 the critical issue in my judgment on the
23 environment in the future. And a lot of the
24 areas which are "green" which are supposed to
25 have development go to them and be incentivised

GUY J. RENZI & ASSOCIATES

18

1 (sic) are already in areas where there's not a
2 lot of water.

3 We don't see how you're going to
4 drive development into certain areas where
5 there's not a lot of water unless you transfer
6 it from areas where there is. And you end up
7 with this very interesting situation where if
8 you apply for water use in a "red" area you
9 might get the answer no, but if you apply in a

10 "green" area you get the answer yes but the
11 water is coming from the same place because
12 there isn't any more water in the "green"
13 area. This raises the inner basin transfer
14 question; this raises the stream flow
15 question. So how we handle the use and
16 beneficial reuse of water within the context of
17 shifting water resources, TDR for water, in
18 essence, in the State is going to be an issue
19 we're going to have to look at with great
20 concern.

21 So thank you very much.

22 MR. McCracken: I have a question
23 on that. It's something that I've often
24 wondered about is how we better get a handle on
25 inner basin transfers, as well as the idea of

GUY J. RENZI & ASSOCIATES

19

1 interconnections that we ran around doing
2 during drought periods before to supply better
3 opportunities in those areas that were hurting
4 for water; and yet do we have good water
5 balance and stuff. Make sure that when we make
6 those interconnections between water companies,
7 can we do that safely, and what sort of
8 analysis needs to go in there to make sure we

9 can do that transfer.

10 So if you have any thoughts you'd
11 like to include on that specifically, that
12 would be great.

13 MR. HAWKINS: I don't have any
14 immediate; I wish I did. But we'd be happy to
15 be engaged because that's a question that needs
16 to be answered. So thank you.

17 MR. McCRACKEN: Thank you. And you
18 even had a minute to spare.

19 Dan Van Abs from the New Jersey
20 Water Supply Authority.

21 MR. VAN ABS: I'll use his minute.

22 My name is Dan Van Abs. I'm
23 manager of Watershed Protection Programs with
24 the New Jersey Water Supply Authority. And
25 thank you for having us here.

GUY J. RENZI & ASSOCIATES

20

1 The Water Supply Authority supports
2 efforts by the New Jersey Clean Water Council
3 to address the concept of beneficial reuse for
4 treated wastewater. As a major surface water
5 supplier for central New Jersey, the Authority
6 recognizes that our increase in population will
7 need water; that water supplies are limited;

8 that increasing our supplies will require
9 expensive measures; that it makes sense to use
10 water efficiently; and that reuse can play a
11 major role over time. We are taking action on
12 this issue.

13 One major question is this: While
14 the public may recognize from the drought that
15 our supplies are limited, do they make the
16 connection that we can't solve all of our water
17 problems by just building new traditional
18 facilities?

19 Unless the public supports a major
20 move to the use of reclaimed water, it will be
21 very difficult to put in place the regulatory
22 financial and institutional systems to make it
23 work because the intentional use of reclaimed
24 water is a major shift from New Jersey's
25 historic patterns; in other words, we must move

GUY J. RENZI & ASSOCIATES

21

1 from yuck to yes.

2 Supply limits are an interesting
3 issue. The 1996 Statewide Water Supply Plan
4 clearly acknowledged that many parts of the
5 State face supply limits either now or in the
6 foreseeable future. In the Raritan Basin I

7 want to mention that based on recent
8 projections and allocation limits, and plus
9 possible drought needs of northeastern New
10 Jersey, the existing Raritan Basin system
11 supplies will be fully obligated soon, well
12 before the 2040 date projected by the 1996
13 plan. During the past drought in the Raritan
14 Basin domestic wells and several areas went dry
15 by the dozens, and many streams dried up
16 completely.

17 We have a tradition of being a
18 water rich state, but have not addressed the
19 implications of having the nation's highest
20 population density. Unfortunately New Jersey
21 is not planned for efficient use of water, nor
22 built for it. We lack the planning regulatory
23 utility and economic systems necessary to make
24 efficient water use through conservation,
25 reuse, recycling and appropriate use. One of

GUY J. RENZI & ASSOCIATES

22

1 the things we want to mention is that it is not
2 just reuse, that it's also conservation. Has
3 to be in there.

4 With regard to beneficial reuse and
5 recycling, our feeling is that each utility and

6 government that has a responsibility for some
7 aspect of water management also has a
8 responsibility to address these issues. One
9 important lesson from other states is that
10 major increase in reuse and recycling will not
11 come from ad hoc uncoordinated efforts. An
12 integrated approach is necessary to elicit
13 action.

14 Florida's system requires both
15 water supply and wastewater utilities to
16 address reuse opportunities, especially in
17 areas where water supplies are already
18 limited. New Jersey's Water Supply Critical
19 Areas, on the other hand, imposed restrictions
20 on aquifer withdrawals, but did not integrate
21 wastewater utilities, reuse, recycling, or
22 conservation activities in any significant
23 manner. The Department of Environmental
24 Protection can help by integrating its water
25 allocation, water conservation, water quality,

GUY J. RENZI & ASSOCIATES

1 wastewater management planning requirements to
2 highlight and implement reuse and recycling
3 opportunities so that all major players are
4 involved cooperatively.

5 The Water Supply Authority by
6 direction of its Board of Commissioners is
7 moving forward. We are beginning initial
8 studies on potential roles for the Authority in
9 these issues to help delay the need for new
10 water supply facilities and to serve as a role
11 model for action. We're working with DEP to
12 identify the best uses for these funds and to
13 create an integrated approach that really works
14 for our water resources and water customers of
15 the Raritan River Basin.

16 There are two major opportunities
17 here; larger development and redevelopment
18 projects can incorporate recycling where most
19 wastewater generated in buildings stays on site
20 for reuse. New Jersey can also look for our
21 wastewater treatment facilities to determine
22 how to reuse treated flows in existing or new
23 uses around those facilities, such as through
24 "green industrial parks". Most of these
25 wastewater treatment facilities are located in

GUY J. RENZI & ASSOCIATES

1 industrial areas, and so attracting new
2 water-dependant businesses to such locations
3 rather than "Greenfield" sites could be an

4 important component of Smart Growth.

5 Smart Growth requires smart
6 resource use. A one-time use of our potable
7 supplies and discharge to salt water is not
8 smart resource use. Success will require
9 challenging the status quo so that people will
10 recognize opportunities and act on them.
11 Changing the current system will require a
12 great deal of effort over many years, but every
13 program must have a beginning, and the
14 Authority is pleased to be involved in that
15 beginning.

16 Thank you for the opportunity to
17 present this testimony.

18 MR. MCCracken: Our next speaker is
19 David Pringle from the New Jersey Environmental
20 Federation.

21 David Pringle?

22 Okay, then Andy Zinkevich, Applied
23 Water Management.

24 MR. ZINKEVICH: Rather than go
25 through all of that, I'm just going to

GUY J. RENZI & ASSOCIATES

25

1 summarize it so as not to repeat some of the
2 good things that were said before.

3 I'm Andy Zinkevich, and I'm from
4 Applied Water Management. I'm an engineer with
5 the company. The company is one of New
6 Jersey's leading proponents of the beneficial
7 reuse of reclaimed wastewater. And as an
8 organization whose reputation and success has
9 been built on the practical application of this
10 concept, we really do applaud the efforts of
11 the NJDEP towards promoting the reclamation of
12 water for beneficial reuse.

13 The examples that were presented
14 before by the panel were varied; there were a
15 lot of different applications. One of the key
16 items that seemed to be out there was that even
17 though there are a lot of great opportunities
18 in the industrial area, it seems that
19 particularly in New Jersey, for one reason or
20 another, industry hasn't latched onto the idea
21 of recycling as much as it might. I think
22 there are a number of reasons that might affect
23 that.

24 The two primary causes I think that
25 kept coming up over and over again were

GUY J. RENZI & ASSOCIATES

1 acceptance as a major issue, and it's a valid

2 one, and it's one that has to be dealt with.
3 And I think economics are a major concern. It
4 costs money to recycle. It costs money to
5 reuse the water. We heard about six mile
6 pipes. We heard about pipes that were put in
7 part of another construction. In order for
8 those type of things to happen, there needs to
9 be some kind of support or incentive for the
10 people that have the potential to reuse water,
11 as well.

12 In terms of focus questions, our
13 written testimony deals with all the focus
14 questions, but I'd like to identify a few key
15 things. In terms of how we feel about it I
16 think I already made that pretty clear. And I
17 think the point is that there's really no
18 technical reason why a lot more water shouldn't
19 be captured and reused. And from all the
20 examples that we heard, there are very few uses
21 that in one way or another can't be applied.

22 In terms of the pros of using it,
23 as other people have said, we need more water
24 and this is the way to get it. The public
25 health needs to be protected, and those are

GUY J. RENZI & ASSOCIATES

1 some issues that can be dealt with both in
2 terms of regulation and technology.

3 The key items that I'd like to jump
4 to in terms of the questions are two.

5 One, I haven't really heard a lot
6 so far about the education matters with respect
7 to the reuse. The educational issues that
8 apply here go directly to the public
9 perceptions of the benefits and the risks
10 associated with reusing water and treatment.
11 And there are a couple of ways to do that. I
12 think the State's in a good position to play
13 that role of promoting and pointing out the
14 examples of successes and clarifying some of
15 the issues that are out there in terms of
16 regulations and so that the environmental
17 community and water resources managers in
18 general can work together on these issues.

19 Another place to go, nobody has
20 really mentioned either, is that in the
21 schools, in terms of we have a number of
22 systems that Ed had mentioned before that
23 recycle water within schools, but in terms of
24 education in schools, the more materials can be
25 gotten to school systems I think the sooner

GUY J. RENZI & ASSOCIATES

1 people will be educated in terms of the
2 possibilities of recycling. And when it
3 becomes more of an ingrained concept, it's
4 going to work better.

5 In terms of the regulatory process
6 and some recommendations, I think one of the --
7 a couple of these things are already moving
8 forward with NJDEP, and we're really pleased
9 about that. Probably one of the key ways that
10 the regulatory process could be improved is in
11 the time it takes to get permits processed. We
12 know how much time it actually takes in terms
13 of review, and we know that there's a large
14 load of permits out there, and in order to get
15 the public participation that's needed and in
16 order to work through the process, we
17 appreciate the commitment to expedite permits
18 that involve beneficial reuse. And it's
19 probably one of the best ways that we can
20 imagine to illustrate the commitment.

21 And the technical manual for
22 reclaimed water for beneficial reuse that's out
23 there, I believe it's still in draft form;
24 there are a few items in there that we'd like
25 to address. There's a minimum requirement for

1 a facility to get a Category One permit that
2 the facility be at least 100,000 gallons a day
3 or larger. We think that there are lot of
4 worthy possibilities at a much smaller level
5 both in the commercial and industrial level, in
6 particular, that that limitation -- that that
7 minimum limitation of 100,000 gallons a day
8 ought to be reconsidered.

9 In terms of the monitoring, a
10 couple of other people mentioned the
11 correlation of turbidity and solids in terms of
12 monitoring. We would think that it might be
13 good to have a little more flexibility in terms
14 of looking at online or better approaches to
15 that monitoring that are available, and that on
16 a case-by-case basis that that's one way to go,
17 but there are a lot of other ways to get
18 real-time control.

19 The requirements for setback for
20 irrigation are something that we believe needs
21 to be considered in terms of the quality of the
22 water that's reused, and not all wastewater is
23 the same. Industrial wastewater that's being
24 used for non contact purposes, hasn't had any
25 chemicals added. Is not that much different

1 than potable water. And a lot of industrial
2 discharges are, as other people have said, far
3 superior to the potable water that goes in.

4 The restriction against ponds and
5 connections to receiving waters is something
6 that for all the irrigation uses that were
7 mentioned to strictly try to separate those two
8 items is again something that we would like to
9 see more flexibility in that area.

10 In terms of the industrial reuse;
11 again, there are a lot of opportunities out
12 there. In addition to the publication, the
13 technical manual for reuse out of the 27 or 30,
14 I don't know how many pages, there's a couple
15 of paragraphs on industrial reuse. And we
16 believe that there ought to be more effort put
17 in to making those opportunities a little
18 clearer to people who might be interested in
19 them.

20 And the last is funding. There are
21 some funding mechanisms out there for the
22 public sector. There are some fundings out
23 there for the industrial sector. In terms of
24 all the other opportunities, commercial and
25 otherwise that there are, we would suggest that

1 there might be some efforts added to funding
2 there. And particular one very specific type
3 of application would be in urban areas where
4 we're talking about making use of some of this
5 recycled water on a utility basis. We have to
6 run separate lines through existing areas, but
7 we might be able to reuse some lines; might
8 need some new lines very often; and there's no
9 mechanism whatsoever to help deal with what can
10 be a pretty substantial capital cost there.

11 And just to summarize, as somebody
12 said go for it. I think it's really, really
13 good that the NJDEP is involved in this as a
14 person and as a company. And I think that this
15 really is -- reclaiming water for beneficial
16 use really is a smart thing to do. And we're
17 for it. Thank you.

18 MR. ALI: Question for you.

19 Do you have any idea how much water
20 is used in fire fighting, and is there any
21 potential for using wastewater, clean
22 wastewater for fire fighting?

23 MR. ZINKEVICH: Most of our
24 distribution systems, water distribution
25 systems actually end up getting designed to

1 fight fires; the size of the pipes, the storage
2 facilities and everything else. Unfortunately
3 the volume of that flow is relatively small.
4 So it's almost like you could look at it in
5 reverse. And I don't know, 30 years ago or 40
6 years ago people say what we really ought to do
7 is we ought to use the whole water main system
8 that we have to fight fires and then put the
9 potable water in a smaller system. Another
10 way of looking at it, but the fire fighting
11 alone --

12 MR. ALI: We see in the summertime
13 in the downtown areas kids opening the fire
14 hydrants and using water. Can it be used as an
15 example that in the drought time people can use
16 fire hydrants, they can use it for watering
17 lawns, things like that?

18 MR. ZINKEVICH: I didn't understand
19 the question. I mean, yes, I agree.

20 MR. ALI: Can hydrants can be used
21 in summertime for watering lawns?

22 MR. ZINKEVICH: If you were talking
23 about a dual water system; certainly there
24 would be some applications for a dual water

25 system. When we've been talking about dual

GUY J. RENZI & ASSOCIATES

33

1 water systems, we've been primarily talking
2 about boiler water reuse, feed that's actually
3 one step above the typical potable water that
4 we're getting that would be fed to this
5 system. It would actually be one step above.
6 And whether we go from clean water or
7 wastewater to start with doesn't make a
8 difference because of the amount of treatment
9 that would be applied.

10 UNKNOWN SPEAKER: When you speak,
11 speak in the microphone or it won't be picked
12 up on the record. It's nice to have a dialogue
13 up there, but the dialogue is not for the
14 record. So speak into the mike and it will be
15 in the record.

16 MR. ZINKEVICH: Sorry about that.

17 MR. ALI: So this boils down to
18 dollars and cents in infrastructure
19 development, or some of the factors coming into
20 it?

21 MR. ZINKEVICH: Personally other
22 than the public perception, I think that right
23 now economics do tend to drive the decisions,

24 in the projects that we've worked on, do tend
25 to drive the decision making process right now.

GUY J. RENZI & ASSOCIATES

34

1 MR. ALI: Thank you.

2 MR. MCCrackEN: Actually right at
3 this time Dave Pringle was scheduled to speak,
4 so if he's come into the room since, NJ
5 Environmental Federation? No?

6 Jeff Tittel from the New Jersey
7 Sierra Club; is he here?

8 All right, we're going to hold the
9 meeting open. They were supposed to be here at
10 4:40 and 4:50 respectively, so what we'll do is
11 we'll stay here for that period of time to see
12 whether they come. But in the meantime if
13 there was anyone else that wanted to fill out a
14 registration card and bring it forward, please
15 do so.

16 So I guess we stay up here until
17 that time and you guys can go if you want.
18 Thank you all for coming, really. It's a very
19 nice attendance.

20 (Whereupon, a brief recess was
21 taken.)

22 MR. DiLODOVICO: Good afternoon.

23 My name is Tony DiLodovico. I'm vice-president
24 with Schoor DePalma. And I manage the
25 regulatory compliance department at Schoor

GUY J. RENZI & ASSOCIATES

35

1 DePalma. And I deal with all regulatory issues
2 that the company deals with, as we are a
3 consulting engineering firm dealing with the
4 vast variety of clients, both private and
5 public. We deal with just about every type of
6 regulatory compliance issue that deals with
7 water and water resources.

8 I did want to come here today. I
9 know there are seven questions that we've been
10 asked to identify, to address. I don't want to
11 specifically go through each seven. I think a
12 lot of the issues were probably discussed
13 today; and I apologize for not having been here
14 earlier; scheduling conflicts. But I did want
15 to definitely touch on number seven and the
16 regulatory process changes that may be needed,
17 as that's what I deal with on a day-to-day
18 basis.

19 As a background as to if I feel
20 that reclaimed wastewater is a possible
21 solution and why it would, in my opinion, mean

22 anything, I did do a Master's thesis in 1980
23 that basically dealt with beneficial reuse.
24 And it looked at using land applications
25 through various application techniques to treat

GUY J. RENZI & ASSOCIATES

36

1 wastewater as opposed to building tertiary
2 treatment facilities. Again, that was in 1980;
3 we're now in 2003. So it's good to see that
4 maybe finally what I thought was important back
5 then is catching on.

6 And I worked for the DEP and for
7 the EPA in the 1980's. I was the innovative
8 and alternative technology coordinator at DEP
9 in the early '80s. And then I was the Region
10 Two Innovative Alternative Technology Project
11 Manager and liaison with the EPA headquarters
12 in Washington dealing with innovative and
13 alternative technologies for wastewater
14 treatment.

15 I also served on the Septic
16 Advisory Committee, Statutory Septic Advisory
17 Committee; I believe we convened in 1999 to
18 look at innovative and alternative regulations
19 for individual outside septic systems. We did
20 develop regulations, and still to this date we

21 haven't seen them proposed. And I think we had
22 a lot of good recommendations in there to try
23 to get some innovative alternative technologies
24 out there that would help reuse, recycle and
25 reclaim wastewater on an individual basis.

GUY J. RENZI & ASSOCIATES

37

1 Is beneficial reuse a partial
2 solution for our water needs; it definitely
3 is. Is it the only solution; no. Should we
4 look at it in a vacuum; no. It has to be one
5 of many issues that need to be looked at as we
6 look at our water needs. I was at one meeting,
7 at a stakeholders meeting where I heard a group
8 mention that in Cape May we had blown it
9 because we were putting in desalinization. I
10 don't consider desalinization technology having
11 blown it; it is another technology to look at
12 in looking at our water problem.

13 There's a lot of talk out there
14 about we are discharging a lot of wastewater
15 directly into the ocean; and if we just take
16 all of that wastewater and recycle it, we
17 wouldn't have as big of a problem as we have
18 down in the south and the impact on the
19 aquifer.

20 Again, I had worked at EPA in the
21 late '70s and early '80s; and although I was a
22 young engineer and not making the decisions, I
23 knew of the decisions that were made as to why
24 we had built secondary treatment plants along
25 the ocean and discharge into the ocean, and a

GUY J. RENZI & ASSOCIATES

38

1 lot it had to do with cost effective analysis,
2 and with sludge generation. And it looked at
3 issues like water supply. It didn't look at
4 them in enough detail, perhaps, for a long
5 range, but there are issues as to why we
6 discharge into the ocean and why we don't just
7 automatically recycle and reclaim all of our
8 water.

9 And as we move forward trying to
10 solve problems, let's not just throw away
11 technology and sound science at the sake of
12 saying this is a problem, and this is how we
13 can solve it. One of the solutions is to look
14 at recycling; one of the solutions is to look
15 at desalinization. There's a number of
16 solutions out there. So we need to use good
17 sound science, and make good technical judgment
18 on how we move forward.

19 Is beneficial reuse one of the
20 things we should look at; yes. Should we just
21 take all of the wastewater that's generated in
22 Atlantic County and look to recycle it; well,
23 that's not going to be practical. We're not
24 going to be able to take all of that wastewater
25 and economically recycle it all. Should we

GUY J. RENZI & ASSOCIATES

39

1 look at new development and how we perhaps can
2 get new development to recycle; yes. Is that
3 the best thing to look at; perhaps it is, and
4 maybe that's where we are need to make our
5 focus.

6 In that regard, I'd like to just
7 come up with some suggestions I have in looking
8 at the regulatory process. Right now one of
9 the biggest problems we have with recycling is
10 the NJPDES process and getting the NJPDES
11 permits amended to allow for beneficial reuse
12 of the effluent. We work with some
13 authorities. We did a report for one of the
14 municipal authorities down in south Jersey where
15 we looked the whole issue of taking that
16 wastewater and instead of discharging it into
17 the ocean to recycle it.

18 The costs involved in looking at
19 that, we had just looked at taking 1.4 mgd a
20 day to recycle it and use it for golf course
21 irrigation. And we were going to have to spend
22 at minimum three million dollars to upgrade the
23 treatment plant to just provide the water to
24 the golf course. Three million dollars is a
25 big chunk. If we wanted to do it where we

GUY J. RENZI & ASSOCIATES

40

1 could guarantee all permit conditions that were
2 going to have to be followed, we were looking
3 at a biological process that we were going to
4 have to add, and it was going to cost somewhere
5 around 12 million dollars. The 12 million
6 dollars was cost prohibitive.

7 So we need to look at through our
8 NJPDES process what limits we're going to set
9 on the recycling and the beneficial reuse
10 component of the effluent to make it doable and
11 cost effective. I know that the Department has
12 draft guidance out there on beneficial reuse
13 and effluent limits that should be met for the
14 different type of uses.

15 Number one, we shouldn't have draft
16 guidance, we should at least have final

17 guidance. And we should go beyond final
18 guidance; we should look at regulations. I
19 don't even know if we need legislation to
20 authorize regulations in that regard, but we
21 need regulations. And we should have the
22 regulations based upon sound science and
23 technical judgments. And we should get
24 together, perhaps the people that were involved
25 in this public hearing and the other engineers

GUY J. RENZI & ASSOCIATES

41

1 and scientists that are involved in wastewater
2 treatment, water treatment, recycling, and
3 beneficial reuse and establish what type of
4 recycling uses are there, and what would be the
5 need to treat the various levels.

6 We shouldn't have just one across
7 the board; you need to get total suspended
8 solids down to five milligrams per liter on a
9 daily or a weekly basis. We shouldn't just
10 have one set of we need total nitrogen to ten.
11 If we're going to use wastewater as irrigation
12 for crops, for grass lands, for uses where the
13 nutrients would be of benefit, then why are we
14 taking the nutrients out then spread on the
15 land.

16 In California there are many uses
17 where they just use primary treatment; they
18 don't even have secondary treatment. I'm not
19 advocating that we go to primary, but if we
20 have treatment plants that have secondary,
21 perhaps we can take some of that effluent and
22 not really have to make these three, four
23 million improvements to the effluent. Perhaps
24 we can find uses for the existing effluent
25 quality.

GUY J. RENZI & ASSOCIATES

42

1 And I think we need final guidance
2 and we need regulations that perhaps the
3 regulations refer to the guidance that then for
4 these type of uses this is the effluent
5 quality, and then we can identify the effluent
6 quality we have and how could we best move
7 forward.

8 On new development we have a better
9 chance of using it for all sorts of uses
10 because we can build the new treatment plants
11 and we can put in the technology in the new
12 treatment plants. Again, it has to be cost
13 effective. So we don't want to be building 20
14 houses and requiring that it recycle. But we

15 can be putting in technologies that can get us
16 just to recharge the ground water. And that
17 gets back to the innovative and alternative
18 technology regulations.

19 We need to get those regulations
20 out there so we're not just putting in
21 conventional individual subsurface disposal
22 systems. We're putting in systems that can
23 treat for nitrates; that can treat for various
24 pollutants; that if we can get it back into the
25 groundwater, we can recharge the groundwater

GUY J. RENZI & ASSOCIATES

43

1 and we can be totally recycling it by pulling
2 it from the ground and putting it back down.

3 Again, going forward with the
4 NJPDES program, we had an incident in Colts
5 Neck Township that we tried to put in a
6 facility, and we wanted to directly inject the
7 wastewater, treated wastewater back into the
8 aquifer we were pulling the water from. And
9 after many meetings and a very long review
10 process we basically concluded that that was
11 just going to take too long if we were ever
12 going to get the approval at all. So we went
13 with a standard disposal system and we were

14 taking from the lower aquifer and we recharging
15 back into the upper aquifer. So although we
16 were putting water back in the ground, we
17 weren't totally recycling and replenishing.

18 So we need to have a better process
19 and a better commitment from the Department
20 that we will use technologies that will work,
21 and we will have some way of assuring that we
22 can make those assurances and we can get -- if
23 we're pulling water from an aquifer 400 feet
24 down, we can get the water back in because it
25 is treated to a good enough standard.

GUY J. RENZI & ASSOCIATES

44

1 And then the whole process that we
2 now have to go through with the Water Quality
3 Management Plan Amendment, the NJPDES permit,
4 and the Treatment Works approval; if we want to
5 encourage recycling and reuse of wastewater, we
6 need to have some better way of streamlining
7 the process to encourage, especially for new
8 development, of doing that. And perhaps there
9 could be in the Water Quality Management
10 Planning Rules, the NJPDES Rules, and the
11 Treatment Works Approval Rules that if we're
12 going to use beneficial reuse technologies, we

13 have a simpler process to go through. And we
14 don't have to go through a complete Wastewater
15 Quality Management Plan Amendment and go
16 through a complete NJPDES permit and then go
17 through a complete Treatment Works Approval
18 process and take two to three years to do
19 that. If we want to encourage these things,
20 let's make the process of beneficial reuse more
21 expedited than non reuse, and perhaps we will
22 then get people to reuse better. There is no
23 need to have to go through paperwork if that's
24 discouraging the technology that we want.

25 Another issue in the Water Quality

GUY J. RENZI & ASSOCIATES

45

1 Management Planning Rules is why can't we start
2 recycling on new, say, schools, or new
3 buildings in sewer service areas. Such that
4 even though we're going to discharge to a
5 treatment plant, we can perhaps recycle within
6 the building. Well, right now if the building
7 generates more than 2000 gallons of flow, I
8 can't do that. I need a Water Quality
9 Management Plan Amendment to identify my
10 treatment system as greater than 2000 gallons,
11 then I have to go and get a Treatment Works

12 approval for that treatment system. Well, when
13 we're building schools, when we're building
14 municipal buildings, when we're building state
15 buildings we don't have the time to go through
16 that process, so we don't even think about it.
17 But, gee, if we're making a big push to build
18 new schools, and we're making a big push to
19 have state facilities be "green" buildings,
20 then why don't we have a process that perhaps
21 we can look at recycling the wastewater in
22 those buildings. And the first step we need to
23 do that is to get rid of the requirement that
24 once we're greater than 2000 gallons I need to
25 be identified in a Wastewater Management Plan.

GUY J. RENZI & ASSOCIATES

46

1 Again, if it's a recycling -- the recycling
2 technology, the rules could just refer to these
3 type of facilities are automatically
4 consistent.

5 And I think that would be a good
6 start, and especially to show the public how
7 these facilities could work that when we're
8 building public facilities such as schools,
9 such as state buildings, municipal buildings,
10 that's where we should be looking to put in

11 these type of technologies to show that they
12 work and to show that they can work.

13 And I guess the last thing that I
14 would like to say is as we develop these
15 standards, people that know me know I'm
16 involved in a lot of rulemaking, and it bothers
17 me when we make rules where we develop
18 standards that aren't based on sound solids,
19 they're based upon theory or thought or, and
20 I'll say it, they're based upon trying to stop
21 development.

22 We have to accept the fact that
23 there's going to be development. We have to
24 accept the fact that we have problems based
25 upon existing development. And if we're going

GUY J. RENZI & ASSOCIATES

47

1 to do things through proper science and proper
2 technology, we have to stick to the science and
3 the technology and not to the political science
4 when we make these decisions. If we want to
5 have beneficial reuse, we shouldn't be putting
6 it in because it's going to limit development.
7 We should not move forward with IA technologies
8 for septic because it will allow me to build
9 more houses on septic. We should sit there and

10 say what problem are we solving; what is the
11 water resource problem; how do we mitigate the
12 problem to ensure there's no impact; and base
13 all those decisions on sound science.

14 Thank you.

15 MR. McCracken: Is there anybody
16 else that would like to comment at this point?

17 All right, seeing none -- seeing
18 the time -- oh, I'm sorry.

19 MR. POLSKY: Thanks for the
20 opportunity to comment. My main theme, and I
21 have a few sub points. My main theme is based
22 on my first question that I asked the first
23 speaker about DEP seemed to be defining out a
24 major category of reuse. I mean, that's
25 everything that's possible at the residence

GUY J. RENZI & ASSOCIATES

48

1 from what happens on the roof, to the
2 landscaping, to laundry, to lawns, to
3 potentially toilets and building a new system;
4 that just seems to be out of the vision. Yet
5 we started a couple of the other talks that if
6 we take the right perspective these things are
7 feasible.

8 So I would really urge DEP to take

9 a wider perspective of how it defines reuse and
10 to consider incentives for things like "green"
11 roofs, which are more common in areas like
12 Chicago, Ontario, and Germany, and so forth.
13 If they can do it there, there's no reason we
14 can't do it here. If New York City can be
15 doing wonderful things to Battery Park City,
16 there's no reason that we can't be doing it
17 here. And I agree with the last speaker, the
18 schools and the incentives that are going in
19 there for recertifications; this is a natural
20 to build onto that.

21 Also I thought I heard the DEP
22 person say that the standards for reuse of
23 toilets they have to meet potable standards;
24 and that doesn't seem to make a lot of sense,
25 unless I heard it wrong.

GUY J. RENZI & ASSOCIATES

49

1 Just a couple of other minor
2 things. I guess the idea of car washing is
3 another thing I think we should encourage
4 people to use non potable water for; perfect
5 candidate for reuse. Economics was mentioned
6 quite a lot today; more than I expected and
7 more than I'm used to. And I think that's

8 great, but I think if we're going to be serious
9 about trying to figure out from an economics
10 perspective what makes sense -- and I was
11 critical of the first speaker at one point, so
12 now I want to compliment him. He kept talking
13 about subsidies that are in the system right
14 now that leads to overuse of water. So I think
15 we need to know better what they are and
16 revisit them and factor that into the economic
17 assessment that I think is really needed here.

18 Couple of minor things. I would
19 urge DEP and the committee to take a look at
20 what's happening in other parts of the country,
21 in other parts of the world. I was recently in
22 South Africa for the Sustainability Summit. A
23 lot of concerns about water issues
24 internationally. I think we ought to
25 contribute what we know and also learn from

GUY J. RENZI & ASSOCIATES

50

1 others and not be hesitant to do that.

2 Awards for good water users. I
3 don't think the Department has an awards
4 program in this area like they do in the
5 recycling solid waste area. I would think golf
6 courses would be a natural. And I think the

7 golf course that you were working with sounds
8 like they would be a great candidate for some
9 nice publicity; I think we should do that
10 throughout the State.

11 Lastly just something I noted on
12 this general subject of a Star Ledger reporter
13 had a piece on water reuse about two or three
14 years ago, and he was going to the other
15 extreme. He was saying you should never reuse
16 water. And I think he just was ignorant of the
17 basic hydrological cycle. So I just want to
18 let you know that while everyone seems to agree
19 on the need for education and people seem to
20 think it's a doable challenge, it may be deeper
21 than you think, but please tackle it.

22 Thank you.

23 MR. MCCrackEN: Okay, last call.

24 MR. SEDMONT: Roger Sedmont from
25 Turnersville, Gloucester County. I'm a member

GUY J. RENZI & ASSOCIATES

51

1 of environmental group called EarthSave. It
2 was founded by John Robbins from the ice cream
3 empire. He devoted his adult life to trying to
4 change the way we interact with other life and
5 the environment. He broke away from the ice

6 cream empire and emphasized personal choice; a
7 lot of it's diet, a lot of it is related to
8 animal, agriculture, and one of the great users
9 of water. And I realize that switching to more
10 fruits and vegetables, a lot of that use has
11 impacts on irrigation, too. A lot of animals
12 eat grains, but there's also a big problem with
13 waste, animal waste. I think a lot of us
14 recall what happened with the hurricane down in
15 the Carolinas a few years ago; all the immense
16 amount of water in the lagoons all overflowed
17 into the bay and stuff.

18 But why I got up today is I'm
19 taking my personal life; a few years ago I read
20 about using gray water from your house from
21 your laundry to flush your toilets. And I
22 would like to urge the DEP to come up with some
23 standards. It's my understanding that right
24 now it's sort of your health department, maybe
25 a local health department. I live in -- right

GUY J. RENZI & ASSOCIATES

1 not I have a condo, so I have a utility room
2 and two bathrooms, one on each side, so it's
3 very close to where I generate gray water from
4 the washing machine. So my understanding is I

5 could convert one, as long as it's totally
6 separate from the municipal water, from the
7 freshwater side, that I can use the gray water
8 and flush my toilets using laundry water and
9 save a lot of water. I had a load the other
10 day, just putting in buckets it's 25 gallons,
11 and that was just a medium setting. So it's a
12 tremendous amount of water that we're
13 generating. And rather than using virgin
14 water, whatever, to maybe I can get away from
15 that horrible blue stuff, this would be soapy
16 water with bleach in it.

17 So I'd like to urge the DEP, I need
18 a hot water heater now, electric hot water
19 heater; I have an all electric place. If I
20 have a plumber come in and he says, oh, I can't
21 do that; I don't know anything about that. If
22 I had something from the State saying that, you
23 know, that the individual home owner, the
24 household owner could do it; this would be a
25 helpful thing.

GUY J. RENZI & ASSOCIATES

53

1 And I remember when recycling
2 started back in the '70s you had to be sort of
3 committed, the way you have to be in our

4 neighbor Delaware. I have a brother, family
5 that lives there, and you have to be committed
6 and take the stuff, take the bottles and the
7 papers. They still don't have recycling. We
8 do, but I don't think we have that kind of time
9 span with water here. I read what the state of
10 the world, you know, it's not just New Jersey
11 or North America, water is becoming a worldwide
12 problem here. And there might be wars over
13 water in the future, not just energy or other
14 things, you know, land, territory, whatever.
15 So I don't think we have that kind of a time
16 span. And I think some of us would like to
17 invest a little bit of personal resources into
18 using, trying to reuse some of our water, or
19 use it multiple times before we flush it into
20 our sewage.

21 So I'd urge you to try to get the
22 standards for the households so we can have
23 guidance for our contractors.

24 Thank you.

25 MR. McCracken: So better

GUY J. RENZI & ASSOCIATES

1 education, you're saying, and what people can
2 do as home owners and the public in their daily

3 lives?

4 MR. SEDMONT: Right. Like if I had
5 a plumber come in, and show him; yeah, we can
6 do that, just cap that off to make sure it's
7 not connected with municipal water, the fresh
8 water coming in. Obviously it's got to go.

9 Thank you.

10 MR. McCRACKEN: Thank you.

11 Okay, anyone else?

12 Okay, that's it. This hearing is
13 closed.

14 (Whereupon, the hearing was
15 concluded at 5:15 p.m.)

16

17

18

19

20

21

22

23

24

25

GUY J. RENZI & ASSOCIATES

2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I, KAREN L. DELUCIA, License No. XI01888,
a Certified Shorthand Reporter and Notary
Public of the State of New Jersey, do hereby
certify the foregoing to be a true and accurate
transcript of my original stenographic notes
taken at the time and place hereinbefore set
forth.

Karen L. DeLucia, CSR

Dated: MAY 21, 2003