

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NEW JERSEY DEPARTMENT OF
ENVIRONMENTAL PROTECTION

-----X

IN RE: :
:
NEW JERSEY CLEAN WATER :
PUBLIC HEARING :

-----X

Location: DEPARTMENT OF ENVIRONMENTAL PROTECTION
Division of Water Quality Standards &
Assessments
401 East State Street
Trenton, New Jersey
Date: Friday, December 12, 2014
Time: 9:25 a.m. - 11:32 a.m.

GUY J. RENZI & ASSOCIATES, INC.
CERTIFIED COURT REPORTERS & VIDEOGRAPHERS
GOLDEN CREST CORPORATE CENTER
2277 STATE HIGHWAY #33, SUITE 410
TRENTON, NEW JERSEY 08690
TEL: (609) 989-9199 TOLL FREE: (800) 368-7652
www.renziassociates.com

ORIGINAL

1 B E F O R E:

2 DANIEL J. VAN ABS, Ph.D, P.P./AICP, Chair

3

4

5 A L S O P R E S E N T:

6 NEW JERSEY CLEAN WATER COUNCIL MEMBERS

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 INDEX OF SPEAKERS

2

3 NAME

PAGE

4 OPENING

5 By Daniel J. Van Abs

4

6 COMMISSIONER BOB MARTIN

6

7 RAYMOND FERRARA, Ph.D.

23

8 MICHAEL RUPPEL and RYAN KRAUSE

44

9 Q & A

67

10 Public Testimony

76

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 MR. VAN ABS: Thank you all for
2 coming. My name is Dan Van Abs. I'm chair of the
3 New Jersey Clean Water Council and I'd like to
4 welcome you all here to our 2014 public hearing on
5 behalf of the Clean Water Council.

6 Stan Cach was good enough to put
7 together this photo with a clear reminder of what we
8 are trying to deal with in the State, that is a
9 Combined Sewer Overflow in full spate, as one might
10 say.

11 The agenda that we're dealing with
12 here is, we're going to have some opening speakers,
13 starting out with Commissioner Bob Martin. Then we
14 will have two talks, one from Dr. Ray Ferrara and
15 one from Mike Ruppel and Ryan Krause, as you can
16 see. We will do a bit of Q & A for those two sets
17 of speakers, and then we will move to public
18 testimony. And I'll deal with the public testimony
19 portion when we get there.

20 The Clean Water Council members, there
21 are many of them in the room today. This is the
22 full list. It's also on the agenda, right
23 underneath the agenda. But I would like to
24 acknowledge the Clean Water Council members, if you
25 folks would all stand and be recognized. So these

1 are the Clean Water Council members. Thank you.
2 And we're an interesting mix of both state agency
3 representatives and representatives of various
4 public interests and members of the public who have
5 been designated by the Governor to serve as an
6 advisory body to the Commissioner of the Department
7 of Environmental Protection, and we've been working
8 for a long time. This body was formed in 1977 and
9 has been working with the Department very closely
10 ever since then.

11 The person we advise is the
12 Commissioner of the DEP, and I would like to
13 introduce him to you. Sort of the man who needs no
14 introduction, I will introduce him.

15 Bob Martin has been Commissioner
16 throughout the Christie administration, and one
17 thing that has worked extremely well for the Clean
18 Water Council and I hope the Department over those
19 years is, the Clean Water Council has been very
20 focused on this whole issue of asset management and
21 water infrastructure, and Commissioner Martin has
22 been directly on that topic from day one. He came
23 in knowing this issue, believing in the importance
24 of asset management, been a very strong supporter of
25 the work that the Council has been doing and the

1 work that his staff has been doing with regard to
2 asset management issues. So we asked him to come
3 today and talk with us about the topic of today's
4 hearing and anything else he might wish to share
5 with us. Commissioner Martin.

6 COMMISSIONER MARTIN: Good morning,
7 everyone. A lot of familiar faces again. Great to
8 see all of you. On behalf of the Governor, I'm very
9 proud to be here again today. And the New Jersey
10 Clean Water Council is, you know, again, one of the
11 councils that I do spend a lot of time with. I do
12 listen to what you bring forward and I think you
13 provide incredible value to me as Commissioner,
14 which then ultimately shows up with the Governor in
15 the policies we shape, and so what you bring to us
16 is extremely valuable and I thank you for that.

17 And I don't spend time with all the
18 different boards and councils unlike I do with your
19 group because of the fact that you guys put the time
20 in, you bring the expertise to the table, you help
21 to shape the policies of the State. And as Dan has
22 mentioned, you guys have been in place for a long
23 time. And that's extremely important, that you've
24 been able to bring that, bring the caliber of people
25 that are on the Council to the table. So thank all

1 of you and I thank everyone else in the room for
2 being -- participating today, and look forward to
3 getting the comments you bring to us, the shape of
4 the policy directions you bring forward to us, it's
5 going to be extremely helpful to us, so I thank you
6 for that.

7 Again, today, focus of your hearing
8 and your input today is going to be on CSOs. This
9 issue continues to be an extremely important issue
10 to the State of New Jersey and one of my priorities
11 since I've taken over this job.

12 Again, we recognize there are still --
13 there are 217 permitted CSOs in the State and they
14 discharge significant amounts of stormwater and
15 untreated sewage over our waterways every single
16 year. But this issue is not a new one. It's taken
17 us a hundred years to get here, and again, it's
18 going to take us time to work out of this issue.

19 This administration has stepped up and
20 is focused on this issue. We are going to be taking
21 it seriously, we're going to continue to focus on
22 that. And the Governor has made it clear that water
23 quality and protecting water quality in the State of
24 New Jersey is a priority. We are going to continue
25 to focus on that going forward.

1 We know that solving the CSO issue
2 will take time. We've already taken the initial
3 steps, and we'll continue to make progress on this
4 issue and we're going to continue to take more steps
5 as we go forward.

6 The ultimate goal is to make New
7 Jersey's waterways swimmable and fishable. We
8 recognize the municipalities can't do this alone.
9 We are working on ways to assist towns in meeting
10 their requirements and in improving their
11 communities and improving the quality of life in
12 those communities. We're also looking, going to --
13 looking for the leadership, a lot more leadership
14 and continued leadership from our Regional Utility
15 Authorities. That's going to be a common theme
16 you're going to hear from me, they've got to play a
17 key role in this moving forward. The burden cannot
18 continue to fall only on the towns to make this
19 happen. We need cooperation from both the Regional
20 Utility Authorities, from the State, from EPA and
21 all the other agencies to make that happen as we go
22 forward.

23 The Regional Utility Authorities
24 should help their member participant utilities in
25 finding solutions that work and demonstrate

1 continued progress along the way. It's my belief
2 that we'll able to come up with reasonable
3 solutions, but it's going to take a lot of effort,
4 cooperation, time and resources. And it's going to
5 take our commitment to make that happen. Just
6 waiting for those things to happen aren't going to
7 happen overnight, but it needs our long-term resolve
8 to make that happen.

9 I want to talk -- start by telling you
10 what we've been focusing in on and how we are going
11 to make this happen from our side, from the DEP side
12 and our involvement and all the other pieces to it.

13 The two first pieces I want to talk
14 about is how we've organized ourselves at the DEP
15 and how we spend our resources focused on this. The
16 second part I want to talk about the permitting
17 component to this and our cooperation and work with
18 EPA. And our relationship with EPA on the
19 permitting for CSOs has been extremely good and a
20 very cooperative relationship with them in Region 2
21 in making this happen, and that's extremely
22 important. We need that partnership with EPA from a
23 regulatory point of view to make sure that works and
24 right now it's working extremely well on this
25 particular issue.

1 An important part of our efforts in
2 reorganizing, we've reorganized within water
3 resources management, we created the Office of Water
4 Resource Management coordination. This office will
5 work with community groups, local government,
6 permittees, utility authorities and environmental
7 groups to focus on resolving the issues around CSOs.
8 It will address Long Term Control Plan issues that
9 are typically outside the scope and expertise of the
10 permits -- permitting staff. We're also reassigning
11 CSO program to the NJPDES permitting program itself.
12 Again, focusing on the overall water discharge issue
13 itself. This supports the integrated approach to
14 permitting that addresses surface water, stormwater
15 and pretreatment requirements.

16 On a permitting front, DEP is issuing
17 individual NJPDES permits to municipalities and
18 regional treatment plants that have CSOs. There are
19 21 municipalities and nine treatment plants that
20 have received draft permits already. The goal of
21 these permits is to reduce discharges and ultimately
22 to eliminate the 217 CSOs. Final permits are
23 anticipated in January of '15, so next month. These
24 permits will provide a framework for an integrated
25 approach to address water quality and quality of

1 life issues.

2 We understand the CSO watersheds have
3 various owners and operators, service areas -- I'm
4 sorry -- service areas and customers that make it
5 challenging. The municipalities and treatment
6 plants are interconnected and both have reasons to
7 combat CSO issues. The permit requires treatment
8 plant management, collection systems and stormwater
9 management as a focus.

10 Municipalities and treatment plants
11 can work together to develop Long Term Control
12 Plans. It's absolutely critical in our mind that we
13 have a cooperation with all of them working on these
14 Long Term Control Plans and not just dropping this
15 specifically on the towns themselves. We want
16 utilities to take leadership role in developing
17 solutions for that entire region. And I think
18 that's a key point you'll continue to hear from me.

19 We at the DEP are also offering
20 incentives, such as \$500,000 in principal
21 forgiveness for regional integrated plans and
22 providing more time to develop Long Term Control
23 Plans that address the region in support of that
24 goal.

25 Shared services should also be

1 employed to reduce costs. Simple examples would
2 include signs, websites and planning. Those things
3 can be done in a cooperative team effort. PVSC is a
4 great example of a utility that has already stepped
5 up to address these issues. PVSC funded Rutgers
6 cooperative extension water resources program for a
7 multi-year grant to inform member communities about
8 the benefits of using Green Infrastructure. The
9 project also provided technical assistance to
10 municipalities that are willing to meet certain
11 goals. The following CSO communities have also
12 committed to cost sharing: Newark, Paterson and
13 Bayonne.

14 Camden County MUA also continues to
15 take a lead role by agreeing to develop Long Term
16 Control Plan for their region and continue all their
17 great efforts to support Green Infrastructure
18 through the Camden SMART Program.

19 Proper operation and maintenance for
20 wastewater treatment plants is a must. Owner
21 manuals should not be sitting on the shelf, they
22 need to be updated and used and maintained
23 themselves on a constant basis. Regular
24 inspections, scheduled preventive maintenance and
25 timely repairs are essential. Facilities must know

1 their customers and the nature of their discharge to
2 reduce potential environmental impacts. Facilities
3 need to know which significant indirect users can
4 reduce or hold flow during wet weather events. And,
5 again, having the ability to have full information
6 and be able to manage those does make a critical --
7 does make a critical importance to the success of
8 these.

9 And it's things that you've already
10 heard from me, continue to hear from me and Dan
11 mentioned. You know, critical things like asset
12 management, Green Infrastructure and long-term
13 capital investments are keys to success in working
14 on a CSO program. You've heard that from day one
15 when I took this job, you're going to continue to
16 hear that. Those are things that I believe are
17 necessary to make things happen.

18 Permittees need to locate an inventory
19 of all their assets, asset -- assess conditions of
20 assets and define the remaining useful life. They
21 need to define the level of service, they need to
22 identify vulnerable and critical assets, they need
23 to establish life cycle costs for each asset, they
24 need to implement a long-term funding strategy to
25 reinvest fees collected back into the wastewater

1 infrastructure itself.

2 The need for good asset management,
3 note, can be seen in very simple examples. Right
4 now, as you know, Jersey City had a sewer main
5 break, 54-inch force main in Jersey City broke on
6 November 20th. Pumping station had to bypass the
7 main and discharge from nine CSO outfalls into the
8 Hudson River. An estimated 300 to 700,000 gallons
9 per an hour of untreated sewage went into the Hudson
10 River. It shut down service on the Hudson-Bergen
11 Light Rail between Liberty State Park and the West
12 Side Avenue for repair or replace -- so they could
13 repair or replace damaged pipe section. DEP issued
14 advisories not to fish off the Jersey City coast,
15 and again, it took time to replace, took several
16 days to replace and rebuild that pipe structure that
17 was broken.

18 And, again, if they had had a better
19 up-to-date detailed inventory and mapping could have
20 helped minimize this project and the delay in
21 repairing and replacing this. Long-term asset
22 management and repairs and maintenance help minimize
23 these kinds of impacts. When you see projects like
24 this and the disruption it has, both to the
25 community with the rail, light rail being disrupted,

1 and at the same time you see what the volume of raw
2 sewage that ends up in the Hudson River because we
3 don't have asset management and we're not managing
4 on a long-term basis, that does have environmental
5 consequences at the end of the day. It's absolutely
6 critical that we continue to address these issues.

7 There are a number of alternatives
8 listed in the permit that the permittees are
9 required to consider. We want true assessment of
10 Green Infrastructure which will manage stormwater
11 and reduce the volume of runoff entering the system
12 or to reduce the flow rates into the system. Green
13 Infrastructure also enhances the beauty of the
14 community. Stormwater can be considered a resource,
15 not a nuisance. It can be stored and reused. Green
16 Infrastructure also provides a great mechanism to
17 educate the community about water infrastructure
18 issues. The use of Green Infrastructure is becoming
19 more common in the State of New Jersey. Newark with
20 their Doing Infrastructure Green pro [sic]
21 Partnership focus on addressing the CSO and flooding
22 issues in Newark throughout the -- through the use
23 of Green Infrastructure. The Camden SMART
24 Partnership focused on addressing flooding problems
25 in Camden through the use of Green Infrastructure.

1 And finally, long-term capital
2 investments are needed to ensure that the program
3 can be funded adequately. Investments need to be
4 made on a consistent basis. In viewing it within
5 the lens of a 20 to 30-year period, given the cost
6 of these programs, we need pragmatic and -- we need
7 to be pragmatic and realistic about how we invest
8 money over a long period of time. We cannot put
9 local communities under further financial pressure
10 with expensive short-term capital investments only.
11 It needs to be viewed in a long-term lens.

12 The critical components to funding
13 water infrastructure in the State of New Jersey
14 continues to be through the use of the SRF program
15 and the EIT program. The current fiscal year
16 program has received more than \$1.2 billion in
17 applications for all areas of water and wastewater
18 infrastructure. To date, \$382 million has either
19 already been received -- has already received bids
20 or presently out to bid. Another \$300 million is
21 anticipated to be bid by next spring. With this
22 amount of also 250 million worth of Sandy SRF funds
23 would match to the State with CDBG dollars and
24 leveraged by EIT, it results in \$350 million of
25 available project money.

1 Included in these projects are
2 innovative designs by South Monmouth Regional
3 Sewerage Authority for a mobile pumping unit that
4 can be moved out of harm's way in the event of
5 upcoming storms. This week SMRSA received the
6 Governor's Environmental Excellence Award for this
7 in Innovative Technology. Over the past three
8 decades, SRF and EIT has funded approximately \$1.6
9 billion for CSO abatement projects. In 2014 nearly
10 200 million was disbursed for water infrastructure
11 projects overall, which creates a total of about
12 20,000 jobs. In addition, 71 projects have
13 completed construction in 2014. For CSOs
14 particular, we've already set aside \$3 million in
15 principal forgiveness for CSO abatement projects
16 with a focus on Green Infrastructure. We have
17 offered \$500,000 at 50 percent principal forgiveness
18 as well.

19 DEP will continue to support
20 permittees and municipalities in developing clear
21 requirements and providing a series of training
22 seminars to support those requirements. On
23 January 8th we will, along with EPA and New Jersey
24 Future, be conducting a workshop to design -- that's
25 designed to help mayors, utility operators, business

1 administrators, permittees, consultants understand
2 the requirements and opportunities with these
3 permits that we're putting out there for NJPDES
4 permits. In addition, in the post Sandy world DEP
5 is providing new guidance around critical areas of
6 water and wastewater infrastructure, around flood
7 protection, auxiliary power, asset management,
8 environmental -- I'm sorry -- emergency response
9 preparation and planning, precautionary measures for
10 wastewater and stormwater systems, and the operation
11 and maintenance of best practices guide. Again,
12 these are critical things we've learned post Sandy,
13 and a critical part of how we are going to operate
14 going forward here at the DEP.

15 Green Infrastructure website were also
16 being set up that provides best management practices
17 as well as success stories. We're also developing a
18 CSO website to provide a centralized source with the
19 Department guidance and links for outside
20 information. We'll also require submittals,
21 guidance, permit requirements and information for
22 the public. We are currently updating our
23 non-structural provision of the stormwater
24 management rules to promote Green Infrastructure and
25 low-impact development.

1 The DEP CSO team will be available to
2 assist permittees throughout the entire process.
3 It's going to be a complicated long-term process,
4 there's going to be many issues, but again, we need
5 to focus our time, our effort and our financing to
6 solve the CSO issues.

7 The key components of this, of the CSO
8 permits, what we want to focus on is we want to spur
9 urban renewal; we want to improve the quality of
10 life in the CSO communities; we want to revitalize
11 waterfront areas and provide new recreational
12 opportunities; we want to reduce service
13 interruptions by poorly managed assets; we want to
14 reduce sewer backups thereby reducing property
15 damage and public health risks; we want to reduce
16 flooding and thereby reducing property damage and
17 improving transportation, which is very important
18 for economic growth; we want to reduce unpleasant
19 odors due to backups and overflows and we want to
20 redesign neighborhoods through Green Infrastructure.

21 DEP is also working to involve the
22 community. Our permits require public
23 participation, but again, we're looking beyond the
24 typical public standard participation. We want to
25 do something different. Permittees can require --

1 can receive input from the public on problems within
2 their communities which help prioritize limited
3 funding on areas which will provide the greatest
4 benefit.

5 The keys to success, and I've said
6 them several times within my talk today, continue to
7 be using major players in all of this. Again, major
8 players like PVSC and the Camden County Municipal
9 Utilities Authority. They can help provide the
10 overall direction and financial muscle necessary to
11 work the cities and towns through the challenges of
12 CSOs.

13 The other major area is leveraging SRF
14 and EIT. EIT continues to be an incredible partner
15 with the ability to work on both water supply, but
16 most importantly on wastewater infrastructure and
17 CSOs. We see that as critical as our bank for
18 leveraging for the future in this area.

19 And, again, the components that I
20 continue to talk about, asset management and
21 long-term capital investments, those are key
22 principles we must adhere to. We've got to believe
23 in those and they have to be part of all our
24 process, our approach, our policy going forward.

25 And finally, we need to have a close

1 relationship with EPA. EPA needs to be a critical
2 close partner and a working partner with us on this.
3 So far they have been, and that's been wonderful,
4 but this is a long road and they need to be a
5 partner with us working with the communities,
6 working with DEP, working with those municipalities
7 and the permittees to make this work. In the past,
8 one of the obstacles in the past has been the large
9 financial commitment and the push that's come and
10 very hard, very short time period looking as if this
11 was a sprint. This is not a sprint. This is a
12 marathon that we need to put our long-term time and
13 investment into to make it work. So those are the
14 key components to it.

15 And again, in my closing -- in
16 closing, I want to emphasize a couple of things.
17 DEP is committed to this, I am committed to this, I
18 have been since day one, this has been a critical
19 component to this administration, and our overall
20 commitment to clean water in the State of New
21 Jersey. This continues to be the Governor's key
22 commitment in protecting the waters in the State of
23 New Jersey and focusing on the CSO issues in
24 particular.

25 I want to thank you again. The Clean

1 Water Council's done fabulous work in the past. I
2 look to you guys to help us shape this policy and
3 continue to move forward with the permittees in how
4 do we address this problem and any way you can help
5 us to move this even faster and much more rapidly
6 and help implement this over time.

7 So thank you very much, and I thank
8 you for allowing me to speak today.

9 MR. VAN ABS: And thank you very much,
10 Commissioner, for being with us, for taking the
11 time. The Commissioner takes a break from his very
12 busy schedule to come and give us these words. And
13 I'll tell you, these are the words that we want to
14 hear. The amazing thing is that in all of these
15 financial difficulties that the State has been
16 facing, through the recession and the post recession
17 and Sandy and post Sandy, that the commitment to CSO
18 controls and the CSO permitting program has been
19 maintained through that whole period of time, which
20 is truly a wonderful thing for us.

21 The focus of the remainder of our
22 presentations are in two parts. You heard the
23 Commissioner talk very extensively about sewer
24 overflow control, and one of -- our first
25 presentation is on that topic.

1 But there is another side to this,
2 which are the sanitary sewers, the non-combined
3 sewers, if you will. And the issue of sanitary
4 sewer overflows that have occurred in various places
5 in the State at various times. So we're going to
6 have a presentation to address that issue as well,
7 and that will be our second set of presenters.

8 So I would like to start with Dr. Ray
9 Ferrara, who was -- who is a long-time consultant in
10 the water and wastewater field, currently the
11 Director of Wastewater and Water for Kleinfelder.
12 Previous to the merger of Kleinfelder with his --
13 the firm that he founded on the environmental, Ray
14 was a principal of that firm with one of our Council
15 members.

16 And so we'd like to invite Ray to come
17 up and talk to us about a very interesting case
18 study for CSO control in -- not in New Jersey, but
19 something that we think we could emulate here.

20 DR. FERRARA: Thanks, Dan. I
21 appreciate the invitation to be here today. I thank
22 the Council. I thank the Council for having me
23 here, and it's good to come back and see people that
24 I work with all the time and people I haven't seen
25 for 30 years, like Dick Field and Dennis Hart

1 somewhere here. I haven't seen him in quite a while
2 as well. So it's always good to come back and see
3 everybody.

4 You've heard the Commissioner talk
5 about a couple of themes that I think you're going
6 to hear specifically apply to what I'll be speaking
7 about today, and that's integration of programs and
8 planning, and asset management. Those are two key
9 aspects that are going to have to be resolved if
10 we're going to be successful in this whole process.

11 Interesting about CSOs is that they're
12 really a remnant of how we used to manage our water
13 systems more than a hundred years ago. And I think
14 it's useful to go back and view some of this, some
15 of this may be obvious and may be redundant for many
16 of you, but it always helps me to step back and
17 think about how we got to where we are today. And
18 the reason we're here is because hundreds -- not
19 hundreds, a hundred or more years ago the objective
20 was to get water away from us as quickly as
21 possible. Whether that be wastewater or stormwater,
22 the idea was to move it away from the activities
23 that we humans wanted to conduct on the land
24 surface. So we built these large sewer systems to
25 capture as much of that water and to move it away

1 from us as quickly as possible.

2 That worked because back in those days
3 the concept was that the environment outside of
4 where we immediately were located had sort of a
5 limitless opportunity to assimilate whatever we
6 threw at it. So it could take whatever flows,
7 whatever was in those flows, it could take it and it
8 could handle it, because the globe is large, okay.
9 And we didn't have to worry about that, just had to
10 get it away from us and where we were.

11 So these system were built to
12 efficiently move water away from us. And they were
13 built primarily in urban systems, urban
14 infrastructure. What's happened then as we moved
15 further and further in time we realize that, well,
16 maybe the environment does not have a limitless
17 capacity to accept our waste loads, and we need to
18 deal with some of that. So we built wastewater
19 treatment plants. We built wastewater treatment
20 plants, but they didn't necessarily have the
21 capability, nor it was cost effective, to make those
22 large enough to treat all of these water flows that
23 we were throwing at them. So in order to handle
24 that capacity issue we put in overflows so that
25 during the times of high flow and waste -- flows

1 that had lower loads in terms of pollutants, we
2 would bypass, we would have these CSOs occurring in
3 our systems. One small benefit of that is actually
4 the small storms, or actually flows from the small
5 storms were actually getting treated at these
6 wastewater treatment plants. But of course during
7 larger periods of time, the larger flows, they were
8 not getting treated at all.

9 So we've got these systems, CSS is for
10 Combined Sewer Systems, it's the term commonly used,
11 these systems are located in areas where the
12 remedies are not only difficult, they're very
13 expensive. Costs in these system are going to be in
14 the range of hundreds of millions of dollars, not
15 millions of dollars, hundreds of millions of
16 dollars. In fact, if I heard Commissioner Martin's
17 comments earlier, the kinds of numbers he was
18 talking about are really representative of what you
19 need probably in one system to cure that kind of
20 thing. We'll see some numbers in the Springfield
21 system that I'll put up a little bit later. So
22 we're talking about large dollar investments that
23 need to occur here.

24 The other aspect of it is where we
25 need these investments to occur are typically areas

1 where the income levels or the finances available to
2 fund them are actually quite low. Median household
3 income in these particular areas are particularly
4 low. Nonetheless, we have a mandate to cure this
5 problem, so we have the classic dilemma. We don't
6 have good funding, we have a very high cost, and in
7 some cases we're not even sure what the benefit is
8 going to be, because it's not always clear what the
9 actual benefit will be with these kinds of systems.

10 (Discussion held off the record.)

11 DR. FERRARA: We've been working at
12 this for some time, as you know, and it's been a
13 work in process. You've heard that draft permits
14 have been issued, they've been on the street for
15 quite a while, you're going to see final permits
16 very soon and the clock is going to start ticking on
17 the implementation of the terms of those final
18 permits. One particularly interesting aspect of all
19 of that is some of the entities who are now getting
20 these individual NJPDES permits have never had
21 individual NJPDES permits before. So municipalities
22 are now getting individual NJPDES permits. That's
23 the change in the entire paradigm. So there's going
24 to be a lot of confusion. I think some of them
25 haven't even realized the extent of it even with the

1 draft permits being issued. So there's going to be
2 an actual change in the paradigm in how systems
3 operate here. Many of them are going to look toward
4 the regional facilities like Passaic Valley, Camden
5 and so on to guide them through this system, but
6 there's going to be a little bit of shuffling here
7 and I'm sure Michele is looking forward to all of
8 that. So we're going to get these final permits
9 very soon, probably in a month or so, and we're
10 going to see the clock start ticking.

11 Next slide, please.

12 Up till now this program that's been
13 evolving has dealt with what I call the low-hanging
14 fruit, okay, the nine minimal controls. These are
15 the things that the communities who have CSOs can
16 more readily do than other things. And I won't go
17 through the list there, but it talks about taking
18 care of the easy stuff, having good O&M programs,
19 solids and floatable control, pollution prevention,
20 getting the public involved, and so on and so forth.
21 So the Nine Minimum Controls has been the heart of
22 the program up to today.

23 Next one, please.

24 With the advent of these individual
25 permits you're going to see something called the

1 implementation of Long Term Control Plans. And
2 coincidentally, there are nine aspects to the Long
3 Term Control Plans, and there's some similarity
4 between some of the things you saw under the Nine
5 Minimum Controls as well. But there's much more
6 detail in what needs to be done with the Long Term
7 Control Plans. Characterization of your entire
8 system, perhaps modeling of that system, monitoring
9 of that system, evaluation of sensitive areas,
10 prioritizing those sensitive areas, detailed cost
11 analyses, detailed operational plans, implementation
12 and then monitoring after you put in the
13 implementation. So we're going to have to put in
14 some very significant effort in putting together
15 these Long Term Control Plans. The draft permits
16 now call for a three-year period for development of
17 these Long Term Control Plans; whether or not that's
18 going to work, we'll see. There are many
19 communities throughout the country who have actually
20 started these Long Term Control Plans. Some of them
21 have developed them within three-year periods,
22 others have not.

23 Next one, please.

24 These are some of detailed exercises
25 that are going to need to be completed with the Long

1 Term Control Plans, and the first one goes to the
2 heart of the whole asset management issue. There
3 has to be clear mapping and identification of all of
4 the facilities that are involved in the Combined
5 Sewer System. That's not an insignificant effort.
6 Not everybody knows where all their sewers are. All
7 the CSOs seem to be known, at least we think so, but
8 not necessarily all the connections that go to those
9 CSOs.

10 There's going to be a lot of effort
11 put in to monitoring, there's going to be a lot of
12 effort put in to modeling of systems and looking at
13 different scenarios and how things operate, there's
14 going to be a very extensive public participation
15 process, and that's going to take quite a bit of
16 effort as well.

17 Number 6 is one that is really of
18 critical importance. This whole system only works
19 if there's coordination between all of what we call
20 the hydraulically connected communities. Some of
21 those hydraulically connected communities may not
22 have CSOs, they might not get permits, or they won't
23 get permits because they don't have CSOs. But
24 they're hydraulically connected so their flow goes
25 into the system or to the community that has the

1 CSO. So we've got quite a bit of coordination that
2 needs to be conducted here between all the
3 communities that contribute any flow to the Combined
4 Sewer Overflows.

5 Next slide, please.

6 In order to show compliance in your
7 Long Term Control Plan you have had basically two
8 approaches. One is called the Presumption Approach,
9 where if you meet certain performance criteria you
10 will have been presumed to satisfy the requirements
11 of the Clean Water Act. That typically says get
12 your overflows down to less than four, that can be
13 bumped up to six, but get your flows down to four
14 per year. That may be possible in some situations,
15 and in fact some communities have gone ahead and
16 actually eliminated all of their CSOs, so that is
17 certainly a possible approach, and that's the
18 standard way or the simple way to do it, if you can
19 do that you're presumed to be in compliance with the
20 Clean Water Act. And in fact, compliance with the
21 Clean Water Act is what we're talking about here.

22 But if that doesn't seem -- is not
23 effective or cost effective or not possible, there
24 is another way to go about this. You can use what's
25 called the Demonstration Approach. And in the

1 Demonstration Approach you can show that, well, I
2 don't have to necessarily have to go down four
3 activations per year if I can demonstrate that we're
4 going to satisfy water quality standards and that
5 we're reducing pollution to the maximum reasonably
6 achievable degree, and we provide for some
7 flexibility to upgrade if we have to in the future,
8 we will show that we're in compliance with the Clean
9 Water Act. Again, that's an option but now that
10 requires another higher level of proof that's
11 necessary.

12 Those two approaches are good, but
13 they still target CSOs as if it was an individual
14 program regardless of any other capital and
15 government programs that relate to water quality
16 that a community has to undertake. So it still
17 looks at CSOs in a silo.

18 The third approach which I'm going to
19 talk about more is the Integrated Planning Approach.

20 Next slide please.

21 So whereas the traditional approach to
22 demonstrating compliance with the Clean Water Act
23 says look at each requirement individually, look at
24 your wastewater requirement, look at your stormwater
25 requirement, look at your CSO requirement, look at

1 whatever requirements you have and you look at them
2 separately and come up with a plan for each one
3 individually. The Integrated Approach says no, that
4 doesn't work. We don't have enough resources to
5 cure all of these things all at the same time. We
6 need to come up with a prioritization of all of our
7 issues, all of our needs, and put them together into
8 one integrated plan. And that's the whole concept
9 here. You get more bang for your buck, you address
10 the most pressing issues first, and it's affordable.
11 You show how to do this affordably rather than
12 forcing it on a community and saying you must do
13 this, administrative orders, et cetera, et cetera,
14 they don't comply, penalties, et cetera, et cetera,
15 and it just becomes an adversarial process.

16 Next slide, please.

17 My first bullet on this slide goes to
18 just that point. In the traditional approach we
19 wind up with adversarial situations, we keep butting
20 heads because the regulatory agency says you must do
21 this, the regulated entity says I can't do this, and
22 we wind up with an adversarial situation.
23 Integrated Planning is much more collaborative. It
24 says that okay, let's work this out, guys, let's
25 come up with a plan that you can afford and that we

1 can live with and shows compliance with the Clean
2 Water Act. Rather than regulatory enforcement
3 simply by new administrative orders over and over
4 again in terms that perhaps the permittee can't live
5 with, we now work this into some sort of a
6 permitting framework, not necessarily only
7 enforcement framework, it may have enforcement
8 aspects as well, but it's a much more holistic
9 approach to doing this whole thing. It's much more
10 definitive. In previous traditional approaches
11 where you said you must do X, whereas now in the
12 Integrated Approach we look at an adaptive approach,
13 we're going to be looking at things perhaps every
14 five years and seeing how we can iterate and make
15 things better as we move through the process.

16 The fourth bullet, affordability is a
17 key aspect. In four -- in the former approach with
18 looking at things in a silo, you'd look at your CSO
19 plan and say can you afford this. Well, maybe you
20 can afford this, but that means you can't afford
21 upgrading your wastewater treatment plant or curing
22 other problems that you may have. Under the
23 Integrated plan you look at all that together, and
24 look at how it can be afforded to achieve Clean
25 Water Act requirements.

1 And finally, I'll just go to the last
2 bullet. The traditional approach, again, has no
3 coordination between all these activities, the
4 Integrated Approach is a much more holistic
5 management approach to the problem.

6 These are kind of the four steps or
7 four things that you would do. First of all, you'd
8 look at your primary, what your requirements that
9 you have to meet. Second, you identify all of your
10 different needs, CSO, wastewater, treatment system
11 needs, et cetera. Third one, you come up with a
12 plan, not just for CSO abatement but also for your
13 wastewater stormwater capital improvement plans.
14 And finally, you'd integrate them, wrap them all
15 together into one integrated plan for all of these
16 water quality issues.

17 This slide and the next slide will
18 show you sort of a timetable as how this might
19 occur, and we wedged it into a 36-month total
20 timeframe to show what -- how it might work in that
21 kind of a situation. Typically you're going to
22 spend the first nine months of your project
23 collecting data and building information bases and
24 making sure you've got what you need to then go on
25 to the next steps to build your plan.

1 After that you're going to probably
2 spend about six months doing your analyses, looking
3 at your various models, how you build your models,
4 how you can simulate your system, how you can
5 evaluate how your system is going to perform.
6 Following that you're going to probably spend
7 another nine months looking at the different
8 scenarios. So after you go through the first two
9 steps you may have or may define facilities that you
10 can put into place, you're going to look at your
11 different scenarios to optimize water quality
12 benefits, minimize human health impacts, satisfy
13 financial requirements, et cetera. So you're about
14 two years into the process after those first three
15 steps.

16 Fourth step is then to come up and
17 select your optimal scenario, and come up with some
18 recommended set of CSO controls.

19 Throughout all of this there's going
20 to be stakeholder involvements. You may choose to
21 do it at certain times in the process, but it's
22 probably going to occur throughout the entire
23 process. Environmental justice is a key aspect to
24 all of this. Looking at sensitive areas as we
25 mentioned earlier is another key aspect to all of

1 this. So there's going to be stakeholder outreach
2 and stakeholder input throughout this entire
3 process.

4 Finally as you approach the last few
5 months of the process you're going to come up with a
6 recommended plan, you're going to choose your
7 scenarios, you've got three months in this
8 particular scenario, it may take much longer in
9 other situations. And then once you do that now you
10 move into implementation, and that could take 10,
11 20, 30, 40 years to actually implement the entire
12 program. And then finally throughout that you're
13 going to do monitoring to see how your plan and
14 implementation of that plan is performing. That may
15 cause you to go back and to revise certain aspects
16 of the plan so there'll be an iterative kind of
17 approach to the process.

18 Finally getting now to the
19 Springfield, Massachusetts case. Springfield is a
20 community in central western Massachusetts. It
21 serves not just the city of Springfield, but it
22 serves a number of communities in the area around
23 it, so it's very similar to the kinds of communities
24 we have dealing with the situation in New Jersey.

25 Next slide, please.

1 This slide sort of contrasts the
2 characteristics of Springfield in relation to
3 various municipalities who have CSOs in New Jersey.
4 I'm sure you can hear me from here. First line is
5 Springfield obviously. Population of 150,000 and
6 they've had 25 combined sewer overflows, median
7 household income is about \$30,000, 19 percent of the
8 families are below the poverty line.

9 Strikingly similar to Paterson, which
10 is on the fourth row of this table. Population is
11 almost identical, so are the number of combined
12 sewer overflows. Median household income is almost
13 the same, and percentage of families below the
14 poverty line is virtually identical as well. And
15 you can see some similarities to some of the others
16 as well. So this example is probably a good
17 prototype for the communities in New Jersey, so if
18 it worked in Springfield hopefully it can work in
19 these communities as well.

20 This is just an illustration of using
21 Springfield as an example of why we've had so much
22 procrastination in this process. Prior to looking
23 at CSO and all this other water quality issues as an
24 integrated plan, the city of Springfield had spent
25 \$88 million on CSO reduction, \$88 million over a

1 12-year period. That cured three CSO outflows, and
2 so they were spending about a million dollars per
3 million gallon of overflow per year. It was not a
4 sustainable approach, it was extremely expensive,
5 and extremely expensive for a community with this
6 kind of income level. So this is the kind of thing
7 that many of the communities particularly in New
8 Jersey have been saying, we can't afford this
9 because we have to face these kinds of expenses and
10 we just can't do this.

11 So we actually, or our guys up in
12 Massachusetts actually put together a plan for
13 Springfield and looked how can they comply with the
14 Clean Water Act requirements. And they looked at
15 initially two scenarios. The first scenario said
16 what if we go with the Presumption Approach and get
17 ourselves down to four activations per year. They
18 calculated the cost of that would be over
19 \$300 million to get that program in place, and
20 again, I think that was analogous to the kind of
21 numbers Commissioner Wolf was throwing out this
22 morning. One community, \$300 million.

23 However, if we can show that we could
24 be permitted to have eight activations per year, now
25 the cost goes down to \$196 million. So we've saved

1 over \$100,000 in going from four activations to
2 eight activations per year. So then the question is
3 going to be what's the benefit that you'd achieve by
4 having four verses eight compared to the \$116
5 million additionally you'd have to spend to go from
6 eight down to four.

7 Next slide.

8 So we're talking about cost for CSO
9 alone in the range of 200 to \$300 million. We also
10 looked at Springfield's other capital improvement
11 programs needed, and you may not be able to read
12 each line there, but it talks about pump stations
13 and treatment plant upgrades and collection system
14 upgrades and all that sort of stuff. And it comes
15 down to a total of about \$315 million. So this is
16 stuff they would need outside of the CSO
17 requirements.

18 So if you add that up, the total cost
19 for compliance with the Clean Water Act was in the
20 range of 5 to \$600 million. Okay, can they afford
21 this.

22 Next slide, please.

23 So what we did is say okay, let's look
24 at trying to balance all of your future costs and
25 see how you might be able to afford this. So we

1 looked at the impact on a typical household, and we
2 used the median household income as an indicator.
3 We also looked at things like ability to finance,
4 can they do bonding, and how they might do this,
5 what are the trends that they might see in the next
6 several years as well. So an affordability analysis
7 becomes a key component to balancing the need for up
8 to \$600 million in capital improvements.

9 A threshold that's being used is to
10 set an acceptable cost at a level equal to two
11 percent of the median household income. So two
12 percent of the median household income is affordable
13 in these kinds of situations. That resulted in
14 something in the range of about 230, \$250 million
15 being available in the city of Springfield over the
16 next 20 to 40 years or so. If you compare that with
17 the identified cost of over \$600 million
18 potentially, or even \$315 million for just the
19 non-CSO parts, clearly we see there is a financial
20 gap in this situation. So they need an approach to
21 prioritize. And here's where the integrated plan
22 comes in. It enables them to do just that.

23 As part of this then we went to
24 another step and said okay, what are the benefits
25 that are achieved if we went with the Presumption

1 Approach versus a Demonstration/Integrated Planning
2 Approach. And water quality modeling was done, and
3 it showed there was really no significant benefit in
4 terms of water quality improvement if you were
5 allowed to have eight activations as opposed to four
6 activations. So that went into the prioritization
7 and the planning and the justification of the
8 program.

9 So we finally came up with a plan that
10 said okay, let's integrate CSO and non-CSO elements
11 of the program, put together a 20 to 40-year plan.
12 We would take care of the CSO issues in 20 years.
13 We'd have the non-CSO issues taken care over a
14 40-year plan. The CSO plan would take care of 89
15 percent of the volume reduction, which is good, 85
16 percent is one criterion in the rules, water quality
17 criteria would be attained 95 percent of the time,
18 and we actually reduced the cost for CSO
19 improvements down to less than \$500,000 per million
20 gallons compared to the over \$1 million per million
21 gallons they had been spending up to this point as
22 well.

23 So what have we got. Now we've got
24 a -- these dollar numbers are based on using that
25 two percent of median household income. Now we've

1 got an affordable approach that they can implement,
2 projects that can be prioritized, and they've got
3 something that says okay, we're looking at this
4 thing holistically, we're not going to have to rob
5 Peter to pay Paul occasionally to get different
6 things done.

7 The other benefit of this is it
8 creates accountability for both the regulated entity
9 as well as the regulatory entity. We've got now a
10 plan, we're both agreed to it, they agree to
11 continue to evaluate it on a regular basis, and
12 we've got a program that provides incentives to get
13 things done.

14 Finally my last slide, just a
15 perspective on New Jersey. Clearly I think the
16 conditions are analogous to New Jersey so I think
17 this approach can be used in most of these New
18 Jersey communities. I think without it we're doomed
19 to failure. There's no way it's going to happen
20 because we're going to continue to bang heads on the
21 process. And it shows that there's a willingness on
22 the part of the community. So the regulators and
23 the regulatory community get together and they come
24 up with a plan that they both agree on rather than
25 argue about it.

1 Okay, questions later or now?

2 MR. VAN ABS: Questions later. Thank
3 you very much.

4 (Discussion off the record.)

5 MR. VAN ABS: We have a tag team here.
6 Mike Ruppel and Ryan Krause are from the South
7 Monmouth Regional Sewerage Authority, and they are
8 going to be dealing with a somewhat different issue
9 because they are not a Combined Sewer System, they
10 are a separate sewer system. So they're going to be
11 talking with us about I&I control. And so without
12 further ado.

13 MR. RUPPEL: Good afternoon. I'd like
14 to take the opportunity now to thank the Council for
15 allowing us the opportunity to speak today, for
16 myself and my partner here Ryan Krause as well as
17 the entire Authority.

18 You know, it's funny when I listened
19 to the opening comments by the Commissioner it
20 reminded me that this coming March will mark the
21 40th year of my career in the public sector, in
22 providing service to the public. And I&I was an
23 issue when I first came in, it was an issue today,
24 it's going to be an issue tomorrow. And hearing his
25 comments and listening to Ray's presentation, I

1 think we would like you to view our presentation
2 more as the telling of a story than a presentation.

3 So in moving on, what we want to do is
4 tell a story about a situation that occurred at our
5 Authority. We'll get into the background of what
6 developed, why we needed to take action, who we are.
7 We are going to get more into the investigation
8 process, the technical areas of some of the scope
9 that was involved, move right into repairs and then
10 the actual -- the results that benefit from
11 constructing repairs.

12 If we could move to the next slide.

13 So who are we and -- who are we what
14 got us into this. We provide sanitary sewer service
15 for eight municipalities that for the most part lie
16 immediately along the Atlantic coastline. Some of
17 those systems date back in age to as the early
18 1900s, where at that time they had developed primary
19 treatment plants. And believe it or not, these were
20 primary treatment plants that would collect sanitary
21 wastewater, treat it during the summer months and
22 store these sledges all summer long, and then once
23 the bathing crowds left in the fall they would
24 discharge those sledges offshore. It's an amazing
25 concept, isn't it. So over time with the advent of

1 the Clean Water Act those plants began to evolve to
2 meet new standards, and ultimately in the early
3 1970s those existing treatment plants could not meet
4 the needs of the regulatory requirements and it
5 resulted in the creation of our Authority.

6 What got us into I&I is, so in 1970,
7 or in the early 1970s our treatment facility was
8 built with communities connected, and things were
9 fine until the mid 1980s where we began to see an
10 outcropping in the development, to see increased
11 density within our service area, our baseline flows
12 began to come up, and as the baseline flows came up
13 and we began to see increased wet weather events,
14 all of a sudden there were issues, not only in the
15 local sector where they were having SSO problems, we
16 began to have problems with our treatment facility
17 where in periods of wet weather events we were
18 having hydraulic issues and actually being able
19 to -- we could receive the water in the treatment
20 plant, we could treat it, we actually couldn't
21 discharge it into the Atlantic. In fact, on
22 multiple occasions it led to the deployment of
23 emergency pumping equipment and the potential breach
24 of a Class III dam that would have resulted in even
25 further damage to the communities.

1 So all of this kind of precipitated
2 some decision-making by the Authority. How are we
3 going to deal with this issue. We knew that I&I was
4 becoming a critical factor in our operations, and we
5 knew that we needed to convince the communities that
6 were generating that I&I that there was a way to
7 either -- either we were going to have to build
8 infrastructure to treat groundwater, or we would
9 have to convince them that they needed to make an
10 investment in their local systems.

11 So we took a regional approach, we
12 went out, we talked to the communities and solicited
13 their involvement and buy-in in what ultimately
14 became a regional package.

15 And just maybe some -- at that time
16 when we first began, this was in 1998 and we had
17 average daily peaking factors that were about 3.5
18 orders of magnitude over the design capacity of the
19 treatment plant.

20 I think I touched on what we needed to
21 do with this slide.

22 MR. KRAUSE: Yeah, I'd just also like
23 to comment, SMRSA only actually owns 11 regional
24 pump stations stakeholders and we have a common
25 forcemain header. Shown in purple here is the SMRSA

1 service area, which involves the eight communities,
2 and you can see our 11 regional pumping stations and
3 the common forcemain header shown in red.

4 MR. RUPPEL: Yeah, so it really kind
5 of gives you some graphic view of what were
6 localized problems within the service area were not
7 necessarily owned nor operated by SMRSA. And then
8 there was -- at that point in time there was really
9 a community disposition that, you know, hey, our job
10 is to generate the wastewater, put it in a pipe and
11 deliver it to your pumping station, and once it gets
12 there our job is over. And what they failed to
13 recognize was that, and it didn't take much to
14 convince them by the way, what they failed to
15 recognize, that they were paying the bill for us to
16 treat it. So if we treated it and we had to invest
17 in capital infrastructure improvements to treat the
18 I&I, they were going to pay that bill anyway. So it
19 kind of made our job a little bit easier, as we talk
20 later on we'll get into that in terms of developing
21 a stakeholder view.

22 So we can move to the next slide I
23 guess.

24 MR. KRAUSE: Yeah, so I'm going to get
25 into a little of the nuts and bolts of the process.

1 At time I was a young engineer just starting out,
2 and this was a good project for me. It was six,
3 seven years of my life, so it was a good project.

4 First thing, first phase was planning
5 and investigation. Some of our goals, as Mike
6 indicated, reduce the baseline flows to the plant
7 and reduce the peak flows. Typically the baseline
8 flows is the infiltration part of I&I and the peak
9 flows are as a result of inflow. And all this was
10 in an effort to eliminate having to expand the plant
11 for these extraneous flows.

12 MR. RUPPEL: You might add, Ryan -- I
13 have the habit of interjecting all the time, so I'll
14 just do that anyway -- one thing that we didn't note
15 on the prior slide is that in 1998 our baseline
16 flows, when we began the concept of an I&I project
17 our baseline flows were 6.9 mpd at a regulated 9.1
18 mpd facility, so when you add the committed flow to
19 that we were at a capacity assurance level. So
20 as -- if we didn't recognize the -- if we didn't get
21 the towns to recognize the magnitude of this problem
22 it was going to halt construction and it was going
23 to result in further violations in our discharge
24 permit. As a result of this program, just bear this
25 in mind as we keep moving forward, we're at 6.9 in

1 1998, today we're at 5.8. So that's about a 16
2 percent reduction in overall baseline flows and it
3 does not account, in the arithmetics [sic] there,
4 for all the new connections that were made in that
5 same time interval.

6 MR. KRAUSE: So back in the beginning
7 we met with the members communities, we established
8 stakeholders, we tried to find out problem areas in
9 their specific systems, we met with their sewer
10 operators and tried to really figure out where the
11 problem areas were. We also identified where they
12 had previously made improvements because we didn't
13 want to go back and investigate areas that were
14 newer pipe infrastructure. And we got into a data
15 collection phase.

16 You didn't really hear GIS back in
17 those days, we're talking the early 2000s, so GIS
18 was kind of just coming about. So this was a lot of
19 work, it was a lot of paper maps, maintenance
20 records were iffy at best, and there was a lot of
21 interviews, as I said, with the sewer operators. So
22 part of taking those paper maps, we digitized them,
23 we put into AutoCAD at the time and primarily worked
24 off of that.

25 We tried to identify some funding

1 sources. I think at that time it was pretty clear
2 that none of the communities or SMRSA had the funds
3 on hand to do the extent of work that was necessary,
4 so that's when we began looking and working with the
5 EIT, which was very successful.

6 MR. RUPPEL: Yeah, we had looked at
7 independent borrowing, and as we were looking at
8 that we ran a concurrent path in talking with EIT
9 and they very much embraced the concept of us going
10 out as a regional entity to do work in our member
11 municipality towns. In fact, I think it was one of
12 the first if not the first project that was
13 successful in making that happen.

14 MR. KRAUSE: So another thing we had
15 to identify was the manpower, you know, how was this
16 work going to get done. What we did, we used
17 in-house SMRSA staff to help out with traffic
18 control and confined space entry, and used
19 consultants to do a lot of the legwork, doing the
20 studies, preparing plans and specifications for the
21 repairs, and then we ended up bidding out the
22 projects for contractors to do the repairs.

23 MR. RUPPEL: I think one of the
24 critical elements, and so we're kind molding the
25 program right now, and in molding the program one of

1 the critical elements was going go be who are the
2 stakeholders going to be, how do we gain their
3 support, and how do we keep them on board for a
4 project that's not going to be a six-month flash in
5 the pan, this is going to be a long-term investment
6 in time and effort just to identify where the actual
7 problem lies, and then additional time to construct
8 improvements.

9 So what we did was during each step of
10 the way we had -- we had committee meetings with the
11 stakeholders who ultimately engaged the project, we
12 went to their mayor and council meetings, we had
13 public presentations, and we continued to tell our
14 story. We continued to tell the plight of the
15 Authority, the need to do this, the order of the
16 cost magnitude and how this plan was evolving, and
17 it worked very well. So we had actual public
18 comment that began to really come out and support a
19 project that they were opposed to originally.

20 And then secondly, we engaged the
21 local DPWs, so that as we began to identify issues
22 that could remediated very easily and very quickly,
23 why wait for the design engineer, why go out and
24 fund it, let's get these DPW guys involved with
25 making some onsite repairs. They turned to be a

1 very critical element in keeping the group together
2 and demonstrating that the long-term goal were going
3 to be -- provide a net positive cost savings.

4 MR. KRAUSE: Okay. The next step was
5 we made a conscious decision to not move forward
6 with further investigation until we knew the
7 groundwater was up at a sufficient level that we
8 knew it was actually impacting the gravity sewer
9 pipes. So we actually went out throughout the
10 collection system and installed monitoring wells,
11 which were just small wells drilled to the depth of
12 the pipes in that area, and we recorded the
13 groundwater levels. Using one of these guys, this
14 is just a water level meter, you drop it down into
15 the well and it has a tape measure attached to it
16 and you're able to see what the actual groundwater
17 level is.

18 And again, we didn't proceed with the
19 flow monitoring phase until we knew the groundwater
20 was affecting the pipes. And that actually pushed
21 the flow monitoring phase for -- out about two
22 years. So we started doing some of the other phases
23 in the meantime. '98 was a wet year, just so
24 happened '99, 2000, 2001 were pretty dry.

25 MR. RUPPEL: And I think in today's

1 testimony is what Ray said earlier, is that if
2 you're going to go into this, if you're going to
3 start trying to abate I&I, that you really need to
4 enter into it as a long-term program. If we
5 collected data during that period it would have been
6 insufficient data or, in fact, false data. And we
7 would have been making investments in an area that
8 wouldn't have provided return compared to those
9 areas that did, in fact, show negative results where
10 the groundwater levels were elevated.

11 MR. KRAUSE: The next phase of the
12 project was a manhole inspection phase. The goal
13 was to determine the existing conditions of the
14 manholes throughout the service areas. To do that
15 we used the paper maps, we developed a manhole
16 numbering system, there was a lot of coordination
17 with police for traffic control and coordination
18 with public works to actually get access to some of
19 the manholes, some of them were paved over, you
20 know, so they had to allow them in county roads, a
21 lot of coordination.

22 So then we went and physically
23 inspected every manhole, you know, it's thousands of
24 manholes. I was actually in pretty good shape, you
25 know, over those summers. Those manhole's lids

1 probably weigh more than I do.

2 So during the inspections we did
3 handwritten reports, took that back to the office
4 and prepared a final report for each town as a
5 conditional assessment report. Some of the things
6 we looked at were the depth, material of
7 construction, a lot of these manholes in some of
8 these older systems were brick. We made an
9 estimation of the infiltration rates in these
10 manholes and if debris were present, you know, in
11 the channels or on the benches, we identified if the
12 manhole covers were in low-lying areas, made
13 recommendations in those cases to put a dish, a
14 water-tight dish in the top of the manhole cover to
15 help prevent runoff going into those manhole covers.

16 And then, as Mike indicated, sometimes
17 we made recommendations to do an immediate repair
18 depending on if it was a structural issue with the
19 manhole, possible collapse. At that point we had
20 public works go out and make those repairs
21 immediately. Otherwise for the most part many of
22 the manhole repairs were done along with the pipe
23 repairs.

24 MR. RUPPEL: But the inspections were
25 necessary to generate the data by which you could

1 make a decision as to whether or not it would be
2 cost effective in remediating the infiltration.

3 MR. KRAUSE: I guess another point to
4 make is that although GIS wasn't really a thing back
5 then, this report was pretty good information to
6 make GIS maps later. They had the, you know,
7 basically every manhole in their system with a
8 conditional assessment associated with it.

9 The next phase, and we kind of did
10 them coinciding depending on time of year and what
11 the groundwater levels were, but manhole inspections
12 and smoke testing pretty much went on concurrently.
13 And here the goal was to find major sources of
14 inflow through cross connections or broken
15 connections. The equipment we used was a blower,
16 you basically place this on the cover of a manhole
17 and you use a smoke bomb, and that fan actually
18 blows smoke out into the gravity sewer system. And
19 then you just walk up and down the street and look
20 for smoke, which is what you didn't want to see.

21 MR. RUPPEL: But you had better
22 coordinate with --

23 MR. KRAUSE: Yeah. So, again, there
24 was coordination with police for traffic control,
25 access to those manholes, and the fire department.

1 We got to meet those guys quite a few times during
2 smoke testing. And I'll show you some pictures why.

3 MR. RUPPEL: We had notices in the
4 newspaper, we had spoken to public meetings, we put
5 out door knockers. And it was the first day in one
6 of the communities where we first began smoke
7 testing that within the first 20 minutes a young
8 woman was running from her home carrying her child
9 because the house was on fire. Only to find out
10 that she had -- her husband was renovating their
11 bathroom and had the toilet and the bathtub out of
12 the master bath. So when he got home, boy, he got
13 an earful, I can tell you that.

14 MR. KRAUSE: So this photo just kind
15 of shows how the smoke testing works. Again, you
16 set the blower up on top of the manhole and it blows
17 it out and the smoke comes out at any cracks or
18 connections in the system.

19 MR. RUPPEL: These are actually some
20 of the discoveries that we made within our systems.

21 MR. KRAUSE: So what you're seeing
22 here, probably either broken or purposely removed
23 clean-out caps. People tend to use those as yard
24 drains. So you have your -- any runoff from the
25 people's yards is just going right into the sanitary

1 sewer clean-out caps.

2 MR. RUPPEL: And that presents a very
3 unique problem. Because the community doesn't own
4 that line, the Authority doesn't own that line, the
5 homeowner owns it. And so -- so now you're
6 engaging, you know, John Q. Public and you're
7 telling him you've got to go into your yard and fix
8 this problem, and it was a very difficult task and
9 it's still a difficulty task today. The one thing
10 we did, we were very successful in was getting the
11 local sub-code officials to help us along the way.
12 There is a very typical example of a roof
13 connection, and there were many more.

14 MR. KRAUSE: So that's just their roof
15 draining tied right into their sewer line.

16 MR. RUPPEL: So when you look at this
17 you have to think about that. So that connection
18 was a deliberate connection, somebody did that
19 because they didn't want the runoff off of their
20 roof going into their back yard. And so now we're
21 going to go in there, we're going to have a sub-code
22 official tell them that that's a violation of the
23 sub-code. And they're going to have to fix it. So
24 they fix it, and then the sub-code official leaves.

25 So what prevents them or a future

1 owner from going back and reconnecting that to the
2 sanitary? And what prevents them, at least in our
3 service area, is that we have a very vibrant program
4 with those sub-code officials. They have the list
5 and they go back on a cyclical basis to look at
6 those things that were corrected early on in 1998 to
7 see that they have not been reconnected to the
8 system. And it's an integral part of the program;
9 you can fix the pipe, those type things you have to
10 continue to follow up on.

11 MR. KRAUSE: All right. The next
12 phase -- and we've got to move along here, Mike, Dan
13 is giving me the hook over here.

14 MR. RUPPEL: We talk too much.

15 MR. KRAUSE: So the next phase was the
16 flow monitoring. To do this we used the maps,
17 coordination, and what I did was I developed little
18 mini systems for -- to place the flow meters in.
19 It's kind of hard to tell, but you'll see some
20 color-coded identifier rings identifying the mini
21 subsystems, and within those subsystems we had to
22 identify the lengths of each diameter of pipe, and
23 that was used to calculate an effective diameter of
24 pipe within that subsystem. So that took quite a
25 bit of time. You have to scale off, figure out how

1 many feet of pipe, what diameter is it, and then I
2 did a weighted average of and created an effective
3 diameter.

4 So then, we placed area velocity flow
5 meters into the systems, that's kind of a picture,
6 this is an Isco flow meter, these have batteries.
7 This unit kind of hangs in the top of the manhole,
8 it's a computer that collects the data, and this is
9 a transmitter here that takes the depth of the flow
10 and you -- it calculates using also with the
11 velocity of the flow, it calculates the flow rate.

12 We used the Flowlink software was used
13 to do those calculations. And particularly we were
14 interested in low flow periods, 12.00 a.m. to
15 4.00 a.m., really these are bedroom communities,
16 there really should be no flow in the sewer system,
17 so what we said was any flow there was probably
18 infiltration.

19 MR. RUPPEL: And it was actually an
20 excellent time to target sump pump activity from
21 within the system as well.

22 MR. KRAUSE: So we came up, there's an
23 industry, a benchmark that lead to future
24 investigation in the cleaning and televising phase
25 was this number here, which is 1,500 gallons per day

1 per inch diameter per mile of pipe. As Mike
2 indicated, other considerations, there were sump
3 pumps, pump stations pumping into different other
4 subsections. So you kind had to back out, do some
5 math there, and subtract flows from one subsystem
6 from another, got pretty complicated.

7 And then, also at night there's
8 limitations on how low of a flow those flow meters
9 will detect. That sensor is about an inch high, so
10 your flow to get the velocity had to be at least an
11 inch depth in the bottom of the pipe.

12 So then the next phase was clean and
13 televise. What did is we met with the stakeholders
14 and basically compiled the information from the
15 previous investigations and made recommendations on
16 the areas of most concern. And we went in and
17 clean -- first clean those sewers and then televise.
18 We publicly bid that project. This is a photo
19 showing a jet truck that would be used to clean the
20 sewer prior to televising, and then here's actually
21 the TV truck, basically sends a camera up the pipe
22 and you can get a pretty good idea of what's going
23 on from those videos.

24 So yeah, after the videos we reviewed
25 the TV inspection reports, we made recommendations

1 for repairs based on those reports.

2 MR. RUPPEL: And that was really --
3 that's where collaboration really became an issue,
4 because in some communities, particularly a
5 community that had sanitary sewers that dated back
6 to 1910, if we used the industry standard for I&I
7 they would have had to replace their entire system.
8 So we really had to focus in on where are you going
9 to get the biggest bang for your buck and remind
10 them that this is a process that we are not looking
11 to correct overnight, we're looking into get into
12 and begin to remediate over time.

13 MR. KRAUSE: Some examples of the
14 repairs that we made were grouting of joints, spot
15 repairs, cured-in-place pipe, and removal and
16 replacement of some pipe segments.

17 So then we went on to the actual
18 repairs. Again, we met with the member communities
19 and we made recommendations to the stakeholders to
20 define the scope of the projects, we prepared plans
21 and specifications for those repairs, and then we
22 ended up bidding out multiple projects concurrently
23 because there was so much work to be done. We
24 didn't want it to take three years, we basically put
25 out, I think it was three contracts?

1 MR. RUPPEL: Three contracts.

2 MR. KRAUSE: Over the six towns. And
3 some of those bid items were grouting was per gallon
4 of grout, pipe replacement per linear foot,
5 cured-in-place pipe was per linear foot per diameter
6 of course.

7 MR. RUPPEL: And the administrative
8 exercise to bifurcate all those costs and assign
9 them to the communities that were stakeholders was a
10 feat in and of itself.

11 MR. KRAUSE: This is just a slide
12 showing cured-in pipe placement, if you're not
13 familiar with that. Basically they take a
14 resin-impregnated tube, send it up the pipe, and
15 then fill it with either hot water or steam and it
16 basically cures as a new pipe pretty much inside the
17 existing pipe.

18 So moving along, this is just showing
19 grouting, basically send a mechanism down the pipe
20 and it can grout joints that are leaking. And this
21 is showing grouting of a sewer lateral connection.

22 MR. RUPPEL: So we're -- we did all of
23 the development discovery, got stakeholder buy-in,
24 facilitated construction, and then we held our
25 breath and said, you know, what type of results are

1 we really going to get here? And in our view -- in
2 my view the results were pretty astounding. It
3 resulted in \$7 million of construction costs, again
4 it was funded in partnership with the EIT --

5 MR. KRAUSE: Seven is the total cost.

6 MR. RUPPEL: The seven is the total
7 project cost. And in fact through a refinancing
8 with the EIT we were hoping to reduce that number.
9 We chose to really reduce the borrowing period, went
10 from a 20-year amortization period down to a 19-year
11 amortization period as a result of a re-fi. But
12 most importantly, what we had told the communities
13 from day one began to ring out as being true. We
14 were able to easily document a baseline reduction of
15 flows order of magnitude every day of the week,
16 every week of the year by 650,000 gallons per day.
17 Again, that's about 20 percent reduction in
18 baseline.

19 The intangible number that's more
20 difficult to qualify is -- or quantify are the peak
21 flows. Where we had peaks four, five, six times the
22 order of magnitude of the baseline, we're now seeing
23 a dramatic reductions in them. By way of example,
24 just this storm we had this past week was actually
25 one of the most significant coastal storms we've

1 seen since Irene and -- since prior to Irene, and
2 our peaking factor during that event was about 3.5.
3 In 19 -- in the 1990s it probably would have been
4 about 8. So we're seeing significant reduction in
5 peaks.

6 MR. KRAUSE: 1.5.

7 MR. RUPPEL: I'm sorry?

8 MR. KRAUSE: Current one was only 1.5.

9 MR. RUPPEL: 1.5, I'm sorry.

10 And when you look at this reduction in
11 flow, the marketing position of the Authority was
12 you need to -- we need to do something about the I&I
13 because we have hydraulic problems within the plant,
14 we have environmental issues, so we're either going
15 to spend the money to build infrastructure or we
16 need you to spend the money to correct your
17 problems.

18 It resulted in -- the 650,000 gallons
19 per day has an equivalent value of \$700,000 a year
20 in annual savings to those people that regenerated
21 the I&I. So it's simple math, 700,000 over 7
22 million, there's a project that has a net positive
23 return in ten years. So they were able to pay for
24 this project in ten years. They're now able to take
25 those savings that they're seeing in their sewer use

1 rates and reinvest them into a continuation of the
2 program. When we left them back in the early 2000s
3 we left them with a document, a benchmark or a
4 template for them to continue to move forward with
5 I&I. And we didn't leave them, we continue to work
6 with them today. The community of Belmar has
7 invested millions into I&I and it's paying off to
8 them every day, every year as time rolls out.

9 So other ancillary effects is we now
10 have capacity back in our treatment plant. A
11 connection -- we never had an interruption in our
12 ability to accept connections. I alluded to those
13 conditional assessment reports, they are the tool by
14 which the towns continue to abate I&I in their
15 programs.

16 So I think, in closing out here, you
17 know, if we can impress anything on you we hope I&I
18 is really a weighing factor when you're dealing with
19 SSOs. And not to consider it would be -- you'd be
20 cutting yourself short. I think that when you look
21 at I&I it can absolutely be remediated with net
22 positive effects. And most importantly, it never
23 sleeps. Once it's there it continues to worsen.
24 And if it's left unabated it's just going to become
25 a larger problem that brings larger cost and larger

1 effects on the environment in the user base.

2 So I thank you for having us, and if
3 there are any questions.

4 MR. VAN ABS: Thank you. Thank you to
5 all three speakers. Do we have the mikes open on
6 the front there? All right.

7 So what we're going to do is we're
8 going to take a few minutes for questions from the
9 audience that our speakers will be able to respond
10 to. And once we're done with that we'll probably
11 take a five-minute, ten-minute break, and then come
12 back for the public testimony portion of the
13 hearing. Obviously we started a little bit late,
14 and so we're hoping to come pretty much on time.

15 So are there any questions for our
16 three speakers from the audience? And we have a
17 microphone here. So, gentleman there.

18 MR. FIELD: Richard Field, I'm retired
19 from EPA, I'm now with Baker.

20 As far as the I&I which was an
21 excellent presentation, but something in my history
22 seemed to be missing the SSO. Did you take a close
23 look at SSOs while you were investigating your
24 sanitary lines, and did you find that you had them
25 or that it was a reduction due to I&I reduction?

1 MR. RUPPEL: I think the SSOs, there
2 were really two types. One that was occurring in
3 that local system to which we didn't have any prior
4 data on. We had knowledge of them existing, we --
5 they were never really quantified to a point where
6 we could tabulate them. So we get feedback today
7 that they no longer occur.

8 The larger issue was that the combined
9 effect of the I&I had an impact at the treatment
10 plant that we could bring the water into the
11 treatment plant, we could bring it through our
12 primary, secondary processes, we had a limited
13 capacity in our discharge line. We discharge a
14 mile -- our treatment plant is a mile inshore, it
15 has a line that extends to the coastline and then a
16 mile offshore. And that had a hydraulic issue when
17 the I&I was considered part of the flow. So we --
18 we were accepting flows we couldn't discharge, and
19 it was going to result in, and nearly resulted in,
20 the rupture of a Class III dam that we own. And as
21 we looked down the road into the future we were very
22 much concerned that the I&I would cause that
23 rupture, number one, and/or begin to affect us from
24 a treatment point of view, or a qualitative point of
25 view.

1 So I hope that answers your question.

2 Thank you.

3 MR. FIELD: Thank you.

4 MR. VAN ABS: I believe Chris had a
5 question.

6 MS. STURM: Thank you. Great
7 presentation on Springfield and integrated planning.
8 And my question has to do with how we could apply
9 this in New Jersey where the Department is looking
10 for regional Long Term Control Plans where the
11 treatment plant would take the lead and coordinate,
12 you know, the municipalities that it serves. So the
13 treatment plant doesn't have all the stormwater
14 obligations, the municipalities do, and clearly they
15 all have a lot to benefit from this approach. But
16 I'm just curious about your thoughts on that.

17 DR. FERRARA: Yeah, I think I think
18 the regional facilities are going to provide
19 coordination. But there's no question in my mind
20 that the individual communities are also going to
21 have to do something on their own. There's no way
22 around it. They're going to have to identify their
23 facilities, they're going to have to do their own
24 affordability analysis. The regional facility will
25 be able to define what it can handle, define the

1 characteristics of the combined flows that are
2 delivered to that regional facility, and will have
3 to play some role in the apportionment of what can
4 be accepted from each community. But then each
5 community on its own is going to have to do its own
6 analysis and come up with its own component that
7 feeds into the larger Long Term Control Plan.

8 So I don't see how they're not going
9 to do it themselves. The regional facilities cannot
10 do everything in my opinion.

11 MR. VAN ABS: Question to the rear
12 again?

13 MR. LEN: For Dr. Ferrara, as I
14 understand it --

15 MR. VAN ABS: If you could introduce
16 yourself also?

17 MR. LEN: Oh, yeah, Chris Len, staff
18 attorney for Hackensack Riverkeeper and New York/New
19 Jersey Baykeeper.

20 Integrated planning approach, as I
21 understand it, you're looking at a Demonstration
22 Approach with sort of a broader perspective, so that
23 you're getting more low-hanging fruit into the kitty
24 that you can take care of to meet water quality
25 standards. Is that sort of a fair --

1 DR. FERRARA: In a way. The
2 Demonstration Approach looks strictly at the CSO
3 aspect.

4 MR. LEN: Right, so you're looking at
5 more things.

6 DR. FERRARA: This considers a larger
7 holistic picture, and yes, what it would do is
8 prioritize your projects so that you get the
9 projects that have the greatest benefit done first.

10 MR. LEN: Do you agree that sort of
11 the terms of the Demonstration Approach still need
12 to be met if you're doing an integrated planning
13 approach? Because I guess my basic part of the
14 question is that the Demonstration Approach
15 specifically requires total maximum daily loads. If
16 you're choosing that approach and not totally
17 meeting water quality standards, which it seems like
18 you aren't expecting to do right away, is
19 Springfield working on that, or are you not that far
20 enough in, or are you not agreed that that's
21 necessary?

22 MR. FERRARA: Well, I'm not sure I
23 fully understand your question. The Demonstration
24 Approach says that you'll satisfy water quality
25 criteria, but in connection with your CSO issues

1 only. All right, so it doesn't look at the larger
2 picture. If you put it all together in an
3 integrated plan you're looking at all water quality
4 requirements, all the Clean Water Act requirements,
5 and you're prioritizing them to get the best
6 projects done first. So what's happening in the
7 case of Springfield is they're looking at pump
8 station improvements, improvements to their
9 treatment facility as well as CSO management issues
10 to be conducted at the same time.

11 The integrated approach basically uses
12 a Demonstration Approach, but it looks at the
13 affordability aspect to stage the activities, and
14 not just for the CSO.

15 MR. LEN: I understand that, but the
16 question I'm trying to get to you is you still have
17 to have a TMDL if you're not meeting water quality
18 standards, and I don't know how it's working in
19 Massachusetts or whether you have gotten to that
20 point or you plan to get to that point, but in New
21 Jersey our TMDL progress is largely stalled in a lot
22 of these areas, so I was wondering if you had some
23 insight on that.

24 MR. FERRARA: Yeah. You can establish
25 a TMDL, I mean you don't have to have a TMDL, but

1 yeah, TMDL approach is a way to look holistically at
2 what loads are going into your system and how you
3 satisfy water quality criteria. So yeah, it could
4 be a component for sure.

5 MR. VAN ABS: Are there any other
6 questions from the audience? Name first?

7 MR. STEPHANSEN: Hi, Stan Stephansen
8 with EPA Region 2.

9 I just had a question on the I&I
10 program and regarding peak flows reductions. Did
11 you say the peak flow generally was about -- could
12 go as high as about eight times the baseline flow
13 and due to the I&I reductions you were able to
14 reduce that to about down to two times baseline
15 during storm events.

16 MR. KRAUSE: No, I think the prior
17 peaks were more three and a half to four times, and
18 currently they're at only about one and a half.

19 MR. CLERICO: Ed Clerico, Natural
20 Systems.

21 Dr. Ferrara, the two percent mean
22 household income, is that targeted for all water,
23 wastewater only or CSO only? I wasn't clear.

24 DR. FERRARA: For the whole program.

25 MR. CLERICO: So that's the CSO

1 program? So how would that stack up with other
2 expenses, is there -- how would that leave them in
3 terms of their wastewater cost from an affordability
4 standpoint, if two percent went to the CSO?

5 MR. FERRARA: No, no, no, two percent
6 goes to the whole program, all the improvements.

7 MR. VAN ABS: All the water quality
8 improvements, I think.

9 MR. CLERICO: All the water quality
10 improvements?

11 DR. FERRARA: Yeah.

12 MR. CLERICO: Okay.

13 MR. VAN ABS: The water supply and
14 drinking water costs are a separate issue.

15 MR. CLERICO: That is correct.

16 MR. FERRARA: Clean Water Act
17 requirements.

18 MR. CLERICO: Thank you.

19 MR. VAN ABS: Any other questions?

20 (No response.)

21 MR. VAN ABS: Seeing none, what we'll
22 do is we'll take a ten-minute break, and then we'll
23 come back for the public testimony portion of the
24 hearing. Thank you.

25 (Recess.)

1 (Dr. Ferrara no longer present.)

2 MR. VAN ABS: Okay, at this point
3 we're doing the official hearing portion of the
4 hearing, and the way that this works is very simple.
5 We have so far two people who have signed up to give
6 testimony, and the official rules are that you have
7 about five minutes to give your oral testimony; in
8 the absence of a cast of thousands, we can be a
9 little bit lenient on that, but we ask that you not
10 make it too long. And I will note that from the two
11 people who have signed up to give testimony we also
12 have written testimony from both of them.

13 All of this material, the material
14 that you heard earlier this morning, the
15 presentations, video from the presentations will all
16 be posted to the Clean Water Council website
17 sometime early this coming year. So we will be
18 providing the slides, the video, the written
19 testimony that we receive and so on, on the Council
20 website. The Council will be taking all of the
21 material that we've heard today and developing a set
22 of recommendations. We generally write a letter to
23 the Commissioner with our recommendations that come
24 out of the hearing, and so that we will eventually
25 be posted to the Council website also.

1 So if you want to find the Council
2 website you go onto the DEP website and you search
3 for Clean Water Council and that will take you to
4 it.

5 So with no further ado, the first
6 person that we have registered to speak is Jane
7 Rosenblatt, Planning and Policy Associate from New
8 Jersey Future. So come forward please. Thank you.

9 MS. ROSENBLATT: Hello. Thank you,
10 Dan, for the brief introduction. Again, hello, my
11 name is Jane Rosenblatt and I'd like to first thank
12 the Clean Water Council for the opportunity to
13 testify today. I'm here representing New Jersey
14 Future which is a nonprofit, nonpartisan
15 organization that promotes smart growth through
16 research, policy and advocacy.

17 Solutions for Combined Sewer Overflows
18 and community revitalization must go hand in hand.
19 Addressing CSOs will be mandatory for the 21 cities
20 with combined sewer systems, imposing a tremendous
21 economic cost upon the cities, their residents and
22 small businesses, many of which have limited
23 resources. The only way to justify the expense and
24 to build public support for the necessary
25 investments will be to design the Long Term Control

1 Plans to simultaneously invest in the community and
2 generate tangible benefits. New Jersey needs a
3 strategic approach for addressing CSOs.

4 New Jersey Future has convened key
5 stakeholders and an urban water solutions working
6 group. Last May the group published an Agenda for
7 Change that outlined the guiding principles and
8 identified action steps for catalyzing the
9 transformation of New Jersey's urban water
10 infrastructure. The five action steps include
11 educate and raise awareness, optimize existing
12 systems and implement asset management, build
13 capacity and foster cross-jurisdictional
14 collaboration, leverage early successes to generate
15 political support, and diversify funding sources.

16 Additionally, the urban water
17 solutions working group is in the process of
18 identifying best practices for Long Term Control
19 Plans and creating a model RFP to be shared with
20 permit holders. We applaud the New Jersey
21 Department of Environmental Protection and the U.S.
22 Environmental Protection Agency for co-hosting with
23 New Jersey Future the January 8th workshop. New
24 Jersey Future commends the DEP's commitment to
25 assisting CSO permittees with compliance with the

1 new permit. We have identified a handful of
2 recommendations that will make that effort much more
3 successful. They're described in detail in our
4 written comments, but I will summarize them for you
5 here.

6 First, as we just learned DEP has
7 extended the New Jersey environmental infrastructure
8 financing program for CSO municipalities, but clear
9 guidance and more technical assistance should be
10 provided.

11 Additionally, clearer guidance on the
12 Long Term Control Plan requirement for Green
13 Infrastructure should be provided. The draft permit
14 requires applicants to consider Green Infrastructure
15 as an alternative, but it is not clear what this
16 briefly worded requirement entails. DEP should work
17 with its sister agency, the NJ DOT, to incorporate
18 green stormwater management techniques into road
19 projects or green streets, which offers a tremendous
20 opportunity to better manage stormwater.

21 The stormwater management rule should
22 be improved to establish a strong standard for
23 onsite retention of stormwater runoff for the
24 development and redevelopment of large and small
25 sites. To ensure our stormwater and sewer utilities

1 have the funds needed to comply with their CSO
2 discharge permits, DEP should provide administrative
3 support and technical assistance to CSO
4 municipalities and utility authorities that seek to
5 adopt stormwater fees.

6 Finally, the DEP should facilitate
7 partnerships among CSO permittees, elected and
8 appointed officials, staff and community groups to
9 advance CSO solutions that strengthen their
10 communities. The DEP should foster partnerships by
11 holding several regional workshops for CSO
12 municipalities and regional wastewater utilities
13 organized by the regional utility in 2015.

14 On behalf of New Jersey Future I would
15 like to thank you again for the opportunity to
16 testify. We look forward to working with the Clean
17 Water Council and the DEP to help our cities achieve
18 a strong economy, a sound environment and excellent
19 quality of life.

20 MR. VAN ABS: Thank you.

21 Our second speaker providing testimony
22 is Christopher Len, who is with Hackensack River
23 Keeper and the New York/New Jersey Baykeeper.

24 MR. LEN: Thanks, Dan. I'll try to
25 speak slowly and end quickly.

1 I wanted to first talk about something
2 that Dr. Ferrara said that came up in my question
3 earlier about total maximum daily loads, which for
4 those in the audience who are unaware is sort of a
5 pollution budget for water quality. Total amount of
6 a pollutant that can go into a water body and still
7 have it meet water quality standards.

8 Now, the talk about the Presumption
9 Approach and the Demonstration Approach that comes
10 from the CSO control policy, an EPA document from
11 1994, A is the Presumption Approach and B is the
12 Demonstration Approach, and there is no C. And so
13 if you're doing an Integrated Planning Approach
14 you're really -- it's B, a Demonstration Approach or
15 it's not legal. I just wanted to say that B,
16 Demonstration Approach part two says, where water
17 quality standards and designated uses are not met in
18 part because of natural background conditions or
19 pollution sources other than CSOs, a total maximum
20 daily load including a wasteload allocation and a
21 load allocation or other means should be used to
22 apportion pollution loads.

23 Now, that seems to me to be pretty
24 clearly saying that you need to have a TMDL, and
25 that's, you know, in addition to the normal

1 requirements of the Clean Water Act, that you need a
2 TMDL or you aren't meeting water quality standards.

3 The thing about TMDLs, though, that's
4 good news for this whole process, is that they
5 provide a lot of positive incentives that's going to
6 make this work better. A TMDL when it's working
7 properly creates a budget for the pollution that's
8 then split up amongst dischargers, but then those
9 dischargers can reduce their pollutants, they can
10 change their practices and become more efficient.
11 They can potentially trade allocation and in this
12 way you have a market signal that encourages people
13 to reduce their discharges into the water body.

14 Now, when we talk about CSO problem in
15 New Jersey, which I think is also an SSO problem in
16 New Jersey, we talk about it as though it's a
17 regulatory and technical problem. It's really a
18 problem of incentives. The problem is that for a
19 hundred years we've been burying sewer pipes in New
20 Jersey and once they're buried the easiest thing in
21 the world for a politician to do is to not worry
22 about it ever again until it breaks.

23 So we had a 54-inch force main break
24 in Jersey City just before Thanksgiving that put,
25 according to the estimates I saw, half a million to

1 three quarters of a million gallons of sewage into
2 the Hudson River per hour for about two weeks.
3 That's an awful lot of sewage because someone let a
4 pipe sit there long past its useful lifespan. And
5 it's going to have to come off line again when they
6 put the permanent fix in which they're looking at in
7 the next week or two.

8 So if you have pipes that are
9 underground and no one looks at them, and we have so
10 much other stuff to spend money on, how do you
11 incentivize people to make different changes or
12 their choices? TMDL is one way. If you have a
13 municipality that has a budget for a stormwater
14 pollution it has an incentive then to investigate
15 and fix its sewer pipes in a more timely way to
16 avoid costs under the regulatory system.

17 Another problem with the CSO things,
18 and I want to say as I have often that the DEP I
19 think has done a very good job in writing these new
20 permits, and I hope that their MS4 work coming up
21 will be just as good, is that the CSO municipalities
22 under their Long Term Control Plans need to meet
23 water quality standard. But the SSO municipalities
24 don't have a similar requirement in their permits,
25 and I don't know that there will be one in the new

1 permits.

2 So you have a situation where cities
3 with CSOs are discharging into waters that already
4 violate water quality standards for pathogens, and
5 they're supposed to meet water quality standards,
6 which is not possible and it's completely
7 inequitable if you have a town like Elizabeth, say,
8 that has CSOs and they have to spend millions of
9 dollars trying to address to a new regulatory
10 requirement, but just up river you have other
11 municipalities that don't have those requirements
12 and they can continue roughly business as normal.

13 A TMDL would apply to both SSOs and
14 CSOs and put everybody on the same budget, give
15 everyone the same incentives, and I think would be a
16 good way to overcome some of these incentive
17 problems that we have. Another basic problem is the
18 idea that New Jersey has adopted a system of
19 socialized stormwater. You have stormwater impacts
20 that are borne by the people of the state rather
21 than the individuals who contribute to the
22 stormwater discharge.

23 So you have a big parking lot. That
24 big parking lot collects stormwater, puts it into
25 the pipes, goes into the river that causes all sorts

1 of problems that everyone in this room pays for, and
2 our taxes are in our water bill. The people who own
3 the parking lot don't particularly pay for them.
4 Now, if we were to have a stormwater utility, that
5 parking lot owner might have a relatively small,
6 even, amount of money that they would have to pay to
7 account for those discharges. And when you have
8 that signal that parking lot owner may say, all
9 right, well, I can continue paying this bill all the
10 time, or I can do relatively simple steps like
11 regrade my parking lot so that it flows into a rain
12 garden.

13 I think that we are going to find if
14 we have market signals like that, that there's going
15 to be a lot of cheap or free to the people of New
16 Jersey improvements in our water quality that can be
17 attained rather simply.

18 There is a bill for allowing
19 municipalities to adopt stormwater utilities. I
20 think that that should be available to all the
21 cities in New Jersey that want to adopt it, if we
22 have home rule I don't understand why municipalities
23 can't adopt programs like that, that I think make a
24 lot of market sense. And I would hope that the
25 Commission would ask the DEP to support that. I

1 would think that the DEP should be encouraged also
2 to accelerate the adoption of TMDLs which if they
3 continue at the pace they've adopted since 1996
4 wouldn't be done until 2075. The Clean Water Act
5 required them in 1979.

6 So I think that those are two things
7 that you can ask the Commissioner to move forward i
8 the Department's planning, and I hope that you will.
9 Thank you.

10 MR. VAN ABS: Thank you.

11 There are no other people who have
12 registered to submit testimony, so I'd like to open
13 it up at this point to anyone has not registered but
14 would still like to submit testimony to the Council.

15 Does anyone have testimony to provide?

16 (No response.)

17 MR. VAN ABS: We had a prior request
18 to give testimony from Jeff Tittel from the Sierra
19 Club; is anyone here who can provide testimony on
20 his behalf or is planning to provide testimony on
21 his behalf?

22 (No response.)

23 MR. VAN ABS: All right. Hearing
24 none, then what we'll do is we can reach out to
25 Jeff. I will note that we are accepting written

1 testimony to the Council, and the means for
2 submitting the testimony are on the side of the
3 agenda with an e-mail address. So if you would
4 provide your testimony by December 31st, the Council
5 will be able to consider it at its first meeting in
6 2015, in early January.

7 So, any additional testimony?

8 (No response.)

9 MR. VAN ABS: Going once, going twice.
10 Closed. So our hearing is closed.

11 I thank you all for coming, and I hope
12 you have a wonderful holiday season. Thank you.

13 - - -

14 (Hearing adjourned at 11:32 a.m.)

15

16

17

18

19

20

21

22

23

24


25

C E R T I F I C A T E

I, MIRIAM RIOS (License No. XIO2031), a
Certified Court Reporter and Notary Public of the
State of New Jersey, do hereby certify the foregoing
to be a true and accurate transcript of my original
stenographic notes taken at the time and place
hereinbefore set forth.

Miriam Rios, CCR

MIRIAM RIOS, C.C.R.



Dated: January 12, 2015

LAWYER'S NOTES

[illegible]

Word Index

A			
a.m 1:15,15	accountabi...	86:3	43:1
60:14,15	43:8	addresses	affordably
86:14	accurate 87:6	10:14	33:11
abate 54:3	achievable	addressing	afforded 34:24
66:14	32:6	15:21,24	afternoon
abatement 17:9	achieve 34:24	76:19 77:3	44:13
17:15 35:12	40:3 79:17	adequately	age 45:17
ability 13:5	achieved 41:25	16:3	agencies 8:21
20:15 41:3	acknowledge	adhere 20:22	agency 5:2
66:12	4:24	adjourned	33:20 77:22
able 6:24 9:2	Act 31:11,20	86:14	78:17
13:6 40:11	31:21 32:9	administra...	agenda 4:11,22
40:25 46:18	32:22 34:2	5:16 7:19	4:23 77:6
53:16 64:14	34:25 39:14	21:19	86:3
65:23,24	40:19 46:1	administra...	ago 24:13,19
67:9 69:25	72:4 74:16	33:13 34:3	agree 43:10,24
73:13 86:5	81:1 85:4	63:7 79:2	71:10
Abs 2:2 3:5	action 45:6	administra...	agreed 43:10
4:1,2 22:9	77:8,10	18:1	71:20
44:2,5 67:4	activations	ado 44:12 76:5	agreeing 12:15
69:4 70:11	32:3 39:17	adopt 79:5	ahead 31:15
70:15 73:5	39:24 40:1,2	84:19,21,23	allocation
74:7,13,19	42:5,6	adopted 83:18	80:20,21
74:21 75:2	activities	85:3	81:11
79:20 85:10	24:22 35:3	adoption 85:2	allow 54:20
85:17,23	72:13	advance 79:9	allowed 42:5
86:9	activity 60:20	advent 28:24	allowing 22:8
absence 75:8	actual 27:9	45:25	44:15 84:18
absolutely	28:2 45:10	adversarial	alluded 66:12
11:12 15:5	52:6,17	33:15,19,22	alternative
66:21	53:16 62:17	advise 5:11	78:15
accelerate	adaptive 34:12	advisories	alternatives
85:2	add 40:18	14:14	15:7
accept 25:17	49:12,18	advisory 5:6	amazing 22:14
66:12	addition 17:12	advocacy 76:16	45:24
acceptable	18:4 80:25	affect 68:23	amortization
41:10	additional	afford 33:25	64:10,11
accepted 70:4	52:7 86:7	34:19,20,20	amount 16:22
accepting	additionally	39:8 40:20	80:5 84:6
68:18 85:25	40:5 77:16	40:25	amounts 7:14
access 54:18	78:11	affordability	analogous
56:25	address 10:8	34:16 41:6	39:20 43:16
account 50:3	10:25 11:23	69:24 72:13	analyses 29:11
84:7	12:5 15:6	74:3	36:2
	22:4 23:6	affordable	analysis 41:6
	33:9 83:9	33:10 41:12	69:24 70:6

ancillary 66:9	17:8	25:5	77:11
and/or 68:23	area 20:13,18	assist 8:9	awful 82:3
annual 65:20	37:22 46:11	19:2	
answers 69:1	48:1,6 53:12	assistance	B
anticipated	54:7 59:3	12:9 78:9	B 2:1 80:11,14
10:23 16:21	60:4	79:3	80:15
anyway 48:18	areas 11:3,4	assisting	back 13:25
49:14	16:17 18:5	77:25	23:23 24:2
applaud 77:20	19:11 20:3	Associate 76:7	24:14,16
applicants	26:11,25	associated	25:2 37:15
78:14	27:3 29:9,10	56:8	45:17 50:6
applications	36:24 45:8	ASSOCIATES	50:13,16
16:17	50:8,11,13	1:19	55:3 56:4
apply 24:6	54:9,14	assurance	58:20 59:1,5
69:8 83:13	55:12 61:16	49:19	61:4 62:5
appointed 79:8	72:22	astounding	66:2,10
apportion	argue 43:25	64:2	67:12 74:23
80:22	arithmetics	Atlantic 45:16	background
apportionment	50:3	46:21	45:5 80:18
70:3	aside 17:14	attached 53:15	backups 19:14
appreciate	asked 6:2	attained 42:17	19:19
23:21	aspect 26:24	84:17	Baker 67:19
approach 10:13	27:18 34:17	attorney 70:18	balance 40:24
10:25 20:24	36:23,25	audience 67:9	balancing 41:7
31:8,17,25	71:3 72:13	67:16 73:6	bang 33:9
32:1,18,19	aspects 24:9	80:4	43:20 62:9
32:21 33:3	29:2 34:8	authorities	bank 20:17
33:18 34:9	37:15	8:15,20,23	base 67:1
34:12,12,17	assess 13:19	10:6 79:4	based 42:24
35:2,4,5	assessment	Authority 17:3	62:1
37:4,17 39:4	15:9 55:5	20:9 44:7,17	baseline 46:11
39:16 41:20	56:8 66:13	45:5 46:5	46:12 49:6,7
42:1,2 43:1	Assessments	47:2 52:15	49:15,17
43:17 47:11	1:11	58:4 65:11	50:2 64:14
69:15 70:20	asset 5:20,24	AutoCAD 50:23	64:18,22
70:22 71:2	6:2 13:11,19	auxiliary 18:7	73:12,14
71:11,13,14	13:23 14:2	available	bases 35:23
71:16,24	14:21 15:3	16:25 19:1	basic 71:13
72:11,12	18:7 20:20	27:1 41:15	83:17
73:1 77:3	24:8 30:2	84:20	basically 31:7
80:9,9,11,12	77:12	Avenue 14:12	56:7,16
80:13,14,16	assets 13:19	average 47:17	61:14,21
approaches	13:20,22	60:2	62:24 63:13
31:8 32:12	19:13	avoid 82:16	63:16,19
34:10	assign 63:8	Award 17:6	72:11
approximately	assimilate	awareness	basis 12:23

15:4 16:4 43:11 59:5 bath 57:12 bathing 45:23 bathroom 57:11 bathtub 57:11 batteries 60:6 Baykeeper 70:19 79:23 Bayonne 12:13 bear 49:24 beauty 15:13 becoming 15:18 47:4 bedroom 60:15 began 46:1,9 46:12,13,16 47:16 49:16 51:4 52:18 52:21 57:6 64:13 beginning 50:6 behalf 4:5 6:8 79:14 85:20 85:21 belief 9:1 believe 13:16 20:22 45:19 69:4 believing 5:23 Belmar 66:6 benches 55:11 benchmark 60:23 66:3 benefit 20:4 26:3 27:7,9 40:3 42:3 43:7 45:10 69:15 71:9 benefits 12:8 36:12 41:24 77:2 best 18:11,16 50:20 72:5 77:18 better 14:18	34:15 56:21 78:20 81:6 beyond 19:23 bid 16:20,21 61:18 63:3 bidding 51:21 62:22 bids 16:19 bifurcate 63:8 big 83:23,24 biggest 62:9 bill 48:15,18 84:2,9,18 billion 16:16 17:9 bit 4:16 26:21 28:6 30:15 31:1 48:19 59:25 67:13 75:9 blower 56:15 57:16 blows 56:18 57:16 board 52:3 boards 6:18 Bob 3:6 4:13 5:15 body 5:6,8 80:6 81:13 bolts 48:25 bomb 56:17 bonding 41:4 borne 83:20 borrowing 51:7 64:9 bottom 61:11 boy 57:12 breach 46:23 break 14:5 22:11 67:11 74:22 81:23 breaks 81:22 breath 63:25 brick 55:8 brief 76:10	briefly 78:16 bring 6:12,15 6:20,24,24 7:3,4 68:10 68:11 brings 66:25 broad 70:22 broke 14:5 broken 14:17 56:14 57:22 buck 33:9 62:9 budget 80:5 81:7 82:13 83:14 build 35:25 36:3 47:7 65:15 76:24 77:12 building 35:23 built 24:24 25:11,13,18 25:19 46:8 bullet 33:17 34:16 35:2 bumped 31:13 burden 8:17 buried 81:20 burying 81:19 business 17:25 83:12 businesses 76:22 busy 22:12 butting 33:19 buy-in 47:13 63:23 bypass 14:6 26:2	39:18 calculates 60:10,11 calculations 60:13 caliber 6:24 call 28:13 29:16 30:19 called 28:25 31:8,25 Camden 12:14 12:18 15:23 15:25 20:8 28:4 camera 61:21 capability 25:21 capacity 25:17 25:24 47:18 49:19 66:10 68:13 77:13 capital 13:13 16:1,10 20:21 32:14 35:13 40:10 41:8 48:17 caps 57:23 58:1 capture 24:25 care 28:18 42:12,13,14 70:24 career 44:21 carrying 57:8 case 23:17 37:19 72:7 cases 27:7 55:13 cast 75:8 catalyzing 77:8 cause 37:15 68:22 causes 83:25 CDBG 16:23 CENTER 1:21
---	--	---	---

central 37:20	41:15 81:24	77:22	41:22 57:17
centralized	Class 46:24	coast 14:14	80:9
18:18	68:20	coastal 64:25	coming 4:2
certain 12:10	classic 27:5	coastline	44:20 50:18
31:9 36:21	clean 1:6 2:6	45:16 68:15	75:17 82:20
37:15	4:3,5,20,24	coincident...	86:11
certainly	5:1,17,19	29:2	commends 77:24
31:17	6:10 21:20	coinciding	comment 47:23
Certified 1:20	21:25 31:11	56:10	52:18
87:4	31:20,21	collaboration	comments 7:3
certify 87:5	32:8,22 34:1	62:3 77:14	26:17 44:19
cetera 33:13	34:24 39:14	collaborative	44:25 78:4
33:13,14,14	40:19 46:1	33:23	Commission
35:11 36:13	61:12,17,17	collapse 55:19	84:25
chair 2:2 4:2	61:19 72:4	collect 45:20	Commissioner
challenges	74:16 75:16	collected	3:6 4:13 5:6
20:11	76:3,12	13:25 54:5	5:12,15,21
challenging	79:16 81:1	collecting	6:5,6,13
11:5	85:4	35:23	22:10,11,23
change 27:23	clean-out	collection	24:4 26:16
28:2 77:7	57:23 58:1	11:8 40:13	39:21 44:19
81:10	cleaning 60:24	50:15 53:10	75:23 85:7
changes 82:11	clear 4:7 7:22	collects 60:8	commitment 9:5
channels 55:11	17:20 27:8	83:24	21:9,20,22
characteri...	30:3 51:1	color-coded	22:17 77:24
38:2 70:1	73:23 78:8	59:20	committed
Characteri...	78:15	combat 11:7	12:12 21:17
29:7	clearer 78:11	combined 4:9	21:17 49:18
cheap 84:15	clearly 41:19	26:10 30:4	committee
child 57:8	43:15 69:14	31:3 38:6,11	52:10
choices 82:12	80:24	44:9 68:8	common 8:15
choose 36:20	Clerico 73:19	70:1 76:17	15:19 47:24
37:6	73:19,25	76:20	48:3
choosing 71:16	74:9,12,15	come 6:2 9:2	commonly 26:10
chose 64:9	74:18	21:9 22:12	communities
Chris 69:4	clock 27:16	23:16,23	8:11,12 12:7
70:17	28:10	24:2 33:2,6	12:11 16:9
Christie 5:16	close 20:25	33:25 35:11	19:10 20:2
Christopher	21:2 67:22	36:16,17	21:5 28:15
79:22	closed 86:10	37:5 43:23	29:19 30:20
cities 20:11	86:10	46:12 52:18	30:21 31:3
76:19,21	closely 5:9	67:11,14	31:15 37:22
79:17 83:2	closing 21:15	70:6 74:23	37:23 38:17
84:21	21:16 66:16	75:23 76:8	38:19 39:7
city 14:4,5,14	Club 85:19	82:5	43:18 46:8
37:21 38:24	co-hosting	comes 40:14	46:25 47:5

47:12 48:1	concurrent	construction	82:22
50:7 51:2	51:8	17:13 49:22	controls 22:18
57:6 60:15	concurrently	55:7 63:24	28:14, 21
62:4, 18 63:9	56:12 62:22	64:3	29:5 36:18
64:12 69:20	conditional	consultant	convened 77:4
79:10	55:5 56:8	23:9	convince 47:5
community 10:5	66:13	consultants	47:9 48:14
14:25 15:14	conditions	18:1 51:19	cooperation
15:17 19:22	13:19 43:16	continuation	8:19 9:4, 17
30:25 32:16	54:13 80:18	66:1	11:13
33:12 37:20	conduct 24:23	continue 7:21	cooperative
39:5, 22	conducted 31:2	7:24 8:3, 4	9:20 12:3, 6
43:22, 23	72:10	8:18 11:18	coordinate
48:9 58:3	conducting	12:16 13:10	56:22 69:11
62:5 66:6	17:24	13:15 15:6	coordination
70:4, 5 76:18	confined 51:18	17:19 20:6	10:4 30:19
77:1 79:8	confusion	20:20 22:3	31:1 35:3
compare 41:16	27:24	43:11, 20	54:16, 17, 21
compared 40:4	connected	59:10 66:4, 5	56:24 59:17
42:20 54:8	30:20, 21, 24	66:14 83:12	69:19
compiled 61:14	46:8	84:9 85:3	CORPORATE 1:21
completed	connection	continued 8:14	correct 62:11
17:13 29:25	58:13, 17, 18	9:1 52:13, 14	65:16 74:15
completely	63:21 66:11	continues 7:9	corrected 59:6
83:6	71:25	12:14 16:14	cost 12:12
compliance	connections	20:14 21:21	16:5 25:21
31:6, 19, 20	30:8 50:4	66:23	27:6 29:10
32:8, 22 34:1	56:14, 15	contractors	31:23 39:18
40:19 77:25	57:18 66:12	51:22	39:25 40:8
complicated	conscious 53:5	contracts	40:18 41:10
19:3 61:6	consequences	62:25 63:1	41:17 42:18
comply 33:14	15:5	contrasts 38:1	52:16 53:3
39:13 79:1	consider 15:9	contribute	56:2 64:5, 7
component 9:17	66:19 78:14	31:3 83:21	66:25 74:3
21:19 41:7	86:5	control 10:8	76:21
70:6 73:4	considerat...	11:11, 14, 22	costs 12:1
components	61:2	12:16 22:24	13:23 26:13
16:12 19:7	considered	23:18 28:19	40:24 63:8
20:19 21:14	15:14 68:17	29:1, 3, 7, 15	64:3 74:14
computer 60:8	considers 71:6	29:17, 20	82:16
concept 25:3	consistent	30:1 31:7	council 2:6
33:8 45:25	16:4	44:11 51:18	4:3, 5, 20, 24
49:16 51:9	constant 12:23	54:17 56:24	5:1, 18, 19, 25
concern 61:16	construct 52:7	69:10 70:7	6:10, 25
concerned	constructing	76:25 77:18	23:14, 22, 22
68:22	45:11	78:12 80:10	44:14 52:12

75:16,19,20	11:2,7 12:11	currently	decades 17:8
75:25 76:1,3	13:14 14:7	18:22 23:10	December 1:14
76:12 79:17	15:21 17:9	73:18	86:4
85:14 86:1,4	17:15 18:18	customers 11:4	decision 53:5
Council's 22:1	19:1,6,7,10	13:1	56:1
councils 6:11	21:23 22:17	cutting 66:20	decision-m...
6:18	22:18 23:18	cycle 13:23	47:2
country 29:19	31:1 32:25	cyclical 59:5	define 13:20
county 12:14	34:18 35:10		13:21 36:9
20:8 54:20	35:12 36:18		62:20 69:25
couple 21:16	38:23,25		69:25
24:5	39:1 40:8,16		definitive
course 26:6	42:10,12,14		34:10
63:6	42:18 71:2		degree 32:6
Court 1:20	71:25 72:9		delay 14:20
87:4	72:14 73:23		deliberate
cover 55:14	73:25 74:4		58:18
56:16	77:25 78:8		deliver 48:11
covers 55:12	79:1,3,7,9		delivered 70:2
55:15	79:11 80:10		demonstrate
cracks 57:17	81:14 82:17		8:25 32:3
created 10:3	82:21		demonstrating
60:2	CSOs 7:8,13		32:22 53:2
creates 17:11	9:19 10:7,18		Demonstration
43:8 81:7	10:22 17:13		31:25 32:1
creating 77:19	20:12,17		70:21 71:2
creation 46:5	24:11 26:2		71:11,14,23
CREST 1:21	28:15 30:7,9		72:12 80:9
criteria 31:9	30:22,23		80:12,14,16
42:17 71:25	31:16 32:13		Demonstrat...
73:3	32:17 38:3		42:1
criterion	76:19 77:3		Dennis 23:25
42:16	80:19 83:3,8		density 46:11
critical 11:12	83:14		DEP 5:12 9:11
13:6,7,11,22	CSS 26:9		9:14 10:16
15:6 16:12	cure 26:19		11:19 14:13
18:5,12,13	27:4 33:5		17:19 18:4
20:17 21:1	cured 39:1		18:14 19:1
21:18 30:18	cured-in 63:12		19:21 21:6
47:4 51:24	cured-in-p...		21:17 76:2
52:1 53:1	62:15 63:5		78:6,16 79:2
cross 56:14	cures 63:16		79:6,10,17
cross-juri...	curing 34:21		82:18 84:25
77:13	curious 69:16		85:1
crowds 45:23	current 16:15		DEP's 77:24
CSO 8:1 10:11	65:8		department 1:1
		D	
		D3 :1	
		daily 47:17	
		71:15 80:3	
		80:20	
		dam 46:24	
		68:20	
		damage 19:15	
		19:16 46:25	
		damaged 14:13	
		Dan 4:2 6:21	
		13:10 23:20	
		59:12 76:10	
		79:24	
		Daniel 2:2 3:5	
		data 35:23	
		50:14 54:5,6	
		54:6 55:25	
		60:8 68:4	
		date 1:14	
		16:18 45:17	
		dated 62:5	
		87:21	
		day 5:22 13:14	
		15:5 21:18	
		57:5 60:25	
		64:13,15,16	
		65:19 66:8	
		days 14:16	
		25:2 50:17	
		deal 4:8,18	
		25:18 47:3	
		dealing 4:11	
		37:24 44:8	
		66:18	
		dealt 28:13	
		debris 55:10	

1:9 5:6,9,18 18:19 56:25 69:9 77:21 Department's 85:8 depending 55:18 56:10 deployment 46:22 depth 53:11 55:6 60:9 61:11 described 78:3 design 17:24 47:18 52:23 76:25 designated 5:5 80:17 designed 17:25 designs 17:2 detail 29:6 78:3 detailed 14:19 29:10,11,24 detect 61:9 determine 54:13 develop 11:11 11:22 12:15 developed 29:21 45:6 45:18 54:15 59:17 developing 11:16 17:20 18:17 48:20 75:21 development 18:25 29:16 46:10 63:23 78:24 diameter 59:22 59:23 60:1,3 61:1 63:5 Dick 23:25 different 6:18	19:25 30:13 35:10 36:7 36:11 43:5 44:8 61:3 82:11 difficult 26:12 58:8 64:20 difficulties 22:15 difficulty 58:9 digitized 50:22 dilemma 27:5 direction 20:10 directions 7:4 directly 5:22 Director 23:11 disbursed 17:10 discharge 7:14 10:12 13:1 14:7 45:24 46:21 49:23 68:13,13,18 79:2 83:22 dischargers 81:8,9 discharges 10:21 81:13 84:7 discharging 83:3 discoveries 57:20 discovery 63:23 Discussion 27:10 44:4 dish 55:13,14 disposition 48:9 disrupted 14:25	disruption 14:24 diversify 77:15 Division 1:10 document 64:14 66:3 80:10 doing 5:25 6:1 15:20 34:9 36:2 51:19 53:22 71:12 75:3 80:13 dollar 26:22 42:24 dollars 16:23 26:14,15,16 39:2 83:9 doomed 43:18 door 57:5 DOT 78:17 DPW 52:24 DPWs 52:21 Dr 4:14 23:8 23:20 27:11 69:17 70:13 71:1,6 73:21 73:24 74:11 75:1 80:2 draft 10:20 27:13 28:1 29:15 78:13 draining 58:15 drains 57:24 dramatic 64:23 drilled 53:11 drinking 74:14 drop 53:14 dropping 11:14 dry 53:24 due 19:19 67:25 73:13 <hr/> E <hr/> E 2:1,1,5,5 3:1,1,1 87:1 87:1	e-mail 86:3 earful 57:13 earlier 26:17 36:25 54:1 75:14 80:3 early 45:17 46:2,7 50:17 59:6 66:2 75:17 77:14 86:6 easier 48:19 easiest 81:20 easily 52:22 64:14 East 1:12 easy 28:18 economic 19:18 76:21 economy 79:18 Ed 73:19 educate 15:17 77:11 effect 68:9 effective 25:21 31:23 31:23 56:2 59:23 60:2 effects 66:9 66:22 67:1 efficient 81:10 efficiently 25:12 effort 9:3 12:3 19:5 29:14 30:5 30:10,12,16 49:10 52:6 78:2 efforts 10:1 12:17 eight 39:24 40:2,4,6 42:5 45:15 48:1 73:12 EIT 16:15,24
--	--	--	---

17:8 20:14 20:14 51:5,8 64:4,8 either 16:18 47:7,7 57:22 63:15 65:14 elected 79:7 element 53:1 elements 42:10 51:24 52:1 elevated 54:10 eliminate 10:22 49:10 eliminated 31:16 Elizabeth 83:7 embraced 51:9 emergency 18:8 46:23 emphasize 21:16 employed 12:1 emulate 23:19 enables 41:22 encouraged 85:1 encourages 81:12 ended 51:21 62:22 ends 15:2 enforcement 34:2,7,7 engaged 52:11 52:20 engaging 58:6 engineer 49:1 52:23 enhances 15:13 ensure 16:2 78:25 entails 78:16 enter 54:4 entering 15:11 entire 11:17 19:2 27:23	29:7 36:22 37:2,11 44:17 62:7 entities 27:19 entity 33:21 43:8,9 51:10 entry 51:18 environment 25:3,16 67:1 79:18 environmental 1:2,9 5:7 10:6 13:2 15:4 17:6 18:8 23:13 36:23 65:14 77:21,22 78:7 EPA 8:20 9:18 9:18,22 17:23 21:1,1 67:19 73:8 80:10 equal 41:10 equipment 46:23 56:15 equivalent 65:19 essential 12:25 establish 13:23 72:24 78:22 established 50:7 estimated 14:8 estimates 81:25 estimation 55:9 et 33:13,13,14 33:14 35:11 36:13 evaluate 36:5 43:11 evaluation	29:9 event 17:4 65:2 events 13:4 46:13,17 73:15 eventually 75:24 everybody 24:3 30:6 83:14 evolve 46:1 evolving 28:13 52:16 example 12:4 38:16,21 58:12 64:23 examples 12:1 14:3 62:13 Excellence 17:6 excellent 60:20 67:21 79:18 exercise 63:8 exercises 29:24 existing 46:3 54:13 63:17 68:4 77:11 expand 49:10 expecting 71:18 expense 76:23 expenses 39:9 74:2 expensive 16:10 26:13 39:4,5 expertise 6:20 10:9 extended 78:7 extends 68:15 extension 12:6 extensive 30:14 extensively	22:23 extent 27:25 51:3 extraneous 49:11 extremely 5:17 6:16,23 7:5 7:9 9:19,21 9:24 39:4,5
F			
F 2:1 3:1 87:1 fabulous 22:1 face 39:9 faces 6:7 facilitate 79:6 facilitated 63:24 facilities 12:25 13:2 28:4 30:4 36:9 69:18 69:23 70:9 facility 46:7 46:16 49:18 69:24 70:2 72:9 facing 22:16 fact 6:19 26:16 31:15 31:20 46:21 51:11 54:6,9 64:7 factor 47:4 65:2 66:18 factors 47:17 failed 48:12 48:14 failure 43:19 fair 70:25 fall 8:18 45:23 false 54:6 familiar 6:7 63:13			

families 38:8 38:13	84:13	65:11 68:17 73:11,12	49:25 53:5 66:4 76:8
fan 56:17	finding 8:25	Flowlink 60:12	79:16 85:7
far 21:3 67:20 71:19 75:5	fine 46:9	flows 25:6,7 25:22,25	foster 77:13 79:10
faster 22:5	fire 56:25 57:9	26:4,7 31:13	founded 23:13
feat 63:10	firm 23:13,14	46:11,12	four 31:12,13 32:2 34:17
feedback 68:6	first 9:13 22:24 30:1	49:6,7,8,9	35:6,7 39:17
feeds 70:7	33:10,17	49:11,16,17	40:1,4,6
fees 13:25 79:5	35:7,22 36:8	50:2 61:5	42:5 64:21
feet 60:1	36:14 38:4	64:15,21	73:17
Ferrara 3:7	39:15 44:23	68:18 70:1	fourth 34:16 36:16 38:10
4:14 23:9,20	47:16 49:4,4	73:10 84:11	framework 10:24 34:6,7
27:11 69:17	51:12,12	focus 7:7,21 7:25 10:7	free 1:24 84:15
70:13 71:1,6	57:5,6,7	11:9 15:21	Friday 1:14
71:22 72:24	61:17 71:9	17:16 19:5,8	front 10:16 67:6
73:21,24	72:6 73:6	22:21 62:8	fruit 28:14 70:23
74:5,11,16	76:5,11 78:6	focused 5:20 7:20 9:15	full 4:9,22 13:5
75:1 80:2	80:1 86:5	15:24	fully 71:23
field 23:10,25	fiscal 16:15	focusing 9:10 10:12 21:23	fund 27:2 52:24
67:18,18	fish 14:14	folks 4:25	funded 12:5 16:3 17:8
69:3	fishable 8:7	follow 59:10	64:4
figure 50:10 59:25	five 34:14 64:21 75:7	following 12:11 36:6	funding 13:24 16:12 20:3
fill 63:15	77:10	foot 63:4,5	27:6 50:25
final 10:22 27:15,17	five-minute 67:11	force 14:5 81:23	77:15
28:8 55:4	fix 58:7,23,24 59:9 82:6,15	forcemain 47:25 48:3	funds 16:22 51:2 79:1
finally 16:1 20:25 35:1	flash 52:4	forcing 33:12	funny 44:18
35:14 37:4	flexibility 32:7	foregoing 87:5	further 16:9 25:15,15
37:12,18	floatable 28:19	forgiveness 11:21 17:15	44:12 46:25
42:9 43:14	flood 18:6	17:17	49:23 53:6
79:6	flooding 15:21 15:24 19:16	formed 5:8	76:5
finance 41:3	flow 13:4 15:12 25:25	former 34:17	future 17:24 20:18 32:7
finances 27:1	30:24 31:3	forth 28:20 87:8	40:24 58:25
financial 16:9 20:10 21:9	49:18 53:19	forward 6:12 7:2,4,25 8:5	
22:15 36:13	53:21 59:16	8:17,22	
41:19	59:18 60:4,6	18:14 20:24	
financing 19:5 78:8	60:9,11,11	22:3 28:7	
find 50:8 56:13 57:9	60:14,16,17		
67:24 76:1	61:8,8,10		

60:23 68:21	55:20 58:7	64:1 65:14	54:10 56:11
76:8,14 77:4	58:21 59:5	66:24 67:7,8	group 6:19
77:23,24	73:12 76:2	68:19 69:18	53:1 77:6,6
79:14	76:18 80:6	69:20,22,23	77:17
G	goal 8:6 10:20	70:5,8 73:2	groups 10:5,7
gain 52:2	11:24 53:2	81:5 82:5	79:8
gallon 39:3	54:12 56:13	84:13,14	grout 63:4,20
63:3	goals 12:11	86:9,9	grouting 62:14
gallons 14:8	49:5	GOLDEN 1:21	63:3,19,21
42:20,21	goes 30:1,24	good 4:6 6:6	growth 19:18
60:25 64:16	33:17 39:25	9:19 14:2	76:15
65:18 82:1	74:6 83:25	23:23 24:2	guess 48:23
gap 41:20	going 4:12 7:5	27:6 28:18	56:3 71:13
garden 84:12	7:8,18,20,21	32:12 38:16	guidance 18:5
generally	7:24,25 8:4	42:15 44:13	18:19,21
73:11 75:22	8:12,15,16	49:2,3 54:24	78:9,11
generate 48:10	9:3,4,6,10	56:5 61:22	guide 18:11
55:25 77:2	13:15 18:13	81:4 82:19	28:5
77:14	18:14 19:3,4	82:21 83:16	guiding 77:7
generating	20:24 23:5	gotten 72:19	GUY 1:19
47:6	24:5,9,10	government	guys 6:19,22
gentleman	26:13 27:8	10:5 32:15	22:2 33:24
67:17	27:15,16,23	Governor 5:5	39:11 52:24
getting 7:3	28:1,3,6,8	6:8,14 7:22	53:13 57:1
26:5,8 27:19	28:10,25	Governor's	
27:22 28:20	29:13,18,25	17:6 21:21	H
37:18 58:10	30:10,11,14	grant 12:7	habit 49:13
70:23	30:15 32:4	graphic 48:5	Hackensack
GIS 50:16,17	32:18 34:13	gravity 53:8	70:18 79:22
56:4,6	35:21 36:1,5	56:18	half 73:17,18
give 22:12	36:6,10,19	great 6:7 12:4	81:25
75:5,7,11	36:22 37:1,5	12:17 15:16	halt 49:22
83:14 85:18	37:6,13 40:1	69:6	hand 51:3
given 16:5	40:3 43:4,19	greatest 20:3	76:18,18
gives 48:5	43:20 44:8	71:9	handful 78:1
giving 59:13	44:10,24	green 12:8,17	handle 25:8,23
globe 25:8	45:7 47:3,7	13:12 15:10	69:25
go 8:5,21	48:18,24	15:12,15,18	handwritten
24:14 28:16	49:22,22	15:20,23,25	55:3
30:8 31:24	51:9,16 52:1	17:16 18:15	hangs 60:7
32:2 35:1,24	52:2,4,5	18:24 19:20	happen 8:19,21
36:8 37:15	53:2 54:2,2	78:12,14,18	9:5,6,7,8,11
39:16 40:5	55:15 57:25	78:19	9:21 13:17
50:13 52:1	58:20,21,21	groundwater	43:19 51:13
52:23 54:2	58:23 59:1	47:8 53:7,13	happened 25:14
	61:22 62:8	53:16,19	53:24

happening 72:6	73:12	68:16	impacting 53:8
hard 21:10	higher 32:10	hydraulically	impacts 13:2
59:19	HIGHWAY 1:22	30:20, 21, 24	14:23 36:12
harm's 17:4	history 67:21		83:19
Hart 23:25	hold 13:4	I	implement
header 47:25	holders 77:20	I&I 44:11, 22	13:24 22:6
48:3	holding 79:11	46:6 47:3, 6	37:11 43:1
heads 33:20	holiday 86:12	48:18 49:8	77:12
43:20	holistic 34:8	49:16 54:3	implementa...
health 19:15	35:4 71:7	62:6 65:12	27:17 29:1
36:12	holistically	65:21 66:5, 7	29:11, 13
hear 8:16	43:4 73:1	66:14, 17, 21	37:10, 14
11:18 13:10	home 57:8, 12	67:20, 25	importance
13:16 22:14	84:22	68:9, 17, 22	5:23 13:7
24:6 38:4	homeowner 58:5	73:9, 13	30:18
50:16	hook 59:13	idea 24:22	important 6:23
heard 13:10, 14	hope 5:18	61:22 83:18	7:9 9:22
22:22 24:4	66:17 69:1	identical	10:1 19:17
26:16 27:13	82:20 84:24	38:11, 14	importantly
75:14, 21	85:8 86:11	identifica...	20:16 64:12
hearing 1:7	hopefully	30:3	66:22
4:4 6:4 7:7	38:18	identified	imposing 76:20
44:24 67:13	hoping 64:8	41:17 50:11	impress 66:17
74:24 75:3, 4	67:14	55:11 77:8	improve 19:9
75:24 85:23	hot 63:15	78:1	improved 78:22
86:10, 14	hour 14:9 82:2	identifier	improvement
heart 28:21	house 57:9	59:20	35:13 40:10
30:2	household 27:2	identify 13:22	42:4
held 27:10	38:7, 12 41:1	35:9 50:25	improvements
63:24	41:2, 11, 12	51:15 52:6	41:8 42:19
hello 76:9, 10	42:25 73:22	52:21 59:22	48:17 50:12
help 6:20 8:24	Hudson 14:8, 9	69:22	52:8 72:8, 8
14:22 17:25	15:2 82:2	identifying	74:6, 8, 10
20:2, 9 22:2	Hudson-Bergen	59:20 77:18	84:16
22:4, 6 51:17	14:10	iffy 50:20	improving 8:10
55:15 58:11	human 36:12	III 46:24	8:11 19:17
79:17	humans 24:23	68:20	in-house 51:17
helped 14:20	hundred 7:17	illustration	incentive
helpful 7:5	24:13, 19	38:20	82:14 83:16
helps 24:16	81:19	immediate	incentives
hereinbefore	hundreds 24:18	55:17	11:20 43:12
87:8	24:19 26:14	immediately	81:5, 18
hey 48:9	26:15	25:4 45:16	83:15
Hi 73:7	husband 57:10	55:21	incentivize
high 25:25	hydraulic	impact 41:1	82:11
27:6 61:9	46:18 65:13	68:9	inch 61:1, 9, 11

include 12:2 77:10	13:12 14:1 15:10,13,16	38:24 41:21 69:7 70:20	16:10 20:21 26:22,25
Included 17:1	15:17,18,20	71:12 72:3	54:7 76:25
including 80:20	15:23,25 16:13,18	72:11 80:13	invitation 23:21
income 27:1,3 38:7,12 39:6	17:10,16 18:6,15,24	integration 24:7	invite 23:16
41:2,11,12	19:20 20:16	interconne... 11:6	involve 19:21
42:25 73:22	25:14 47:8	interested 60:14	involved 28:20 30:4 45:9
incorporate 78:17	48:17 50:14 65:15 77:10	interesting 5:2 23:17	52:24
increased 46:10,13	78:7,13,14	24:11 27:18	involvement 9:12 47:13
incredible 6:13 20:14	initial 8:2	interests 5:4	involvements 36:20
independent 51:7	initially 39:15	interjecting 49:13	involves 48:1
indicated 49:6 55:16 61:2	innovative 17:2,7	interruption 66:11	Irene 65:1,1
indicator 41:2	input 7:8 20:1 37:2	interruptions 19:13	Isco 60:6
indirect 13:3	inshore 68:14	interval 50:5	issue 5:20,23 7:9,9,16,18
individual 10:17 27:20	inside 63:16	interviews 50:21	7:20 8:1,4
27:21,22	insight 72:23	introduce 5:13 5:14 70:15	9:25 10:12
28:24 32:13	insignificant 30:5	introduction 5:14 76:10	23:3,6 25:24
69:20	inspected 54:23	inventory 13:18 14:19	30:2 44:8,23
individually 32:23 33:3	inspection 54:12 61:25	invest 16:7 48:16 77:1	44:23,24
individuals 83:21	inspections 12:24 55:2	invested 66:7	47:3 55:18
industry 60:23 62:6	55:24 56:11	investigate 50:13 82:14	62:3 68:8,16
inequitable 83:7	installed 53:10	investigating 67:23	74:14
infiltration 49:8 55:9	insufficient 54:6	investigation 45:7 49:5	issued 14:13 27:14 28:1
56:2 60:18	intangible 64:19	53:6 60:24	issues 6:2 10:7,8 11:1
inflow 49:9 56:14	integral 59:8	investigat... 61:15	11:7 12:5
inform 12:7	integrate 35:14 42:10	investment 21:13 47:10	15:6,18,22
information 13:5 18:20	integrated 10:13,24	52:5	19:4,6 21:23
18:21 35:23	11:21 32:19	investments 13:13 16:2,3	33:7,10
56:5 61:14	33:3,8,23		35:16 38:23
infrastruc... 5:21 12:8,17	34:12,23 35:4,15		42:12,13
			46:14,18
			52:21 65:14
			71:25 72:9
			issuing 10:16
			items 63:3
			iterate 34:14
			iterative 37:16

<p>J</p> <p>J 1:19 2:2 3:5 Jane 76:6,11 January 10:23 17:23 77:23 86:6 87:21 Jeff 85:18,25 Jersey 1:1,6 1:13,23 2:6 4:3 6:9 7:10 7:24 14:4,5 14:14 15:19 16:13 17:23 21:21,23 23:18 37:24 38:3,17 39:8 43:15,16,18 69:9 70:19 72:21 76:8 76:13 77:2,4 77:20,23,24 78:7 79:14 79:23 81:15 81:16,20,24 83:18 84:16 84:21 87:5 Jersey's 8:7 77:9 jet 61:19 job 7:11 13:15 48:9,12,19 82:19 jobs 17:12 John 58:6 joints 62:14 63:20 justice 36:23 justification 42:7 justify 76:23</p>	<p>keeping 53:1 key 8:17 11:18 19:7 20:21 21:14,21 24:8 34:17 36:23,25 41:7 77:4 keys 13:13 20:5 kind 26:19 35:6,21 37:16 39:6,6 39:20 47:1 48:4,19 50:18 51:24 56:9 57:14 59:19 60:5,7 61:4 kinds 14:23 26:17 27:9 37:23 39:9 41:13 kitty 70:23 Kleinfelder 23:11,12 knew 47:3,5 53:6,8,19 knockers 57:5 know 6:10 8:1 12:25 13:3 13:11 14:4 27:12 44:18 48:9 51:15 54:20,23,25 55:10 56:6 58:6 63:25 66:17 69:12 72:18 80:25 82:25 knowing 5:23 knowledge 68:4 known 30:7 knows 30:6 Krause 3:8 4:15 44:6,16 47:22 48:24</p>	<p>50:6 51:14 53:4 54:11 56:3,23 57:14,21 58:14 59:11 59:15 60:22 62:13 63:2 63:11 64:5 65:6,8 73:16</p> <p>L</p> <p>L 2:5 land 24:23 large 21:8 24:24 25:8 25:22 26:22 78:24 largely 72:21 larger 26:7,7 66:25,25,25 68:8 70:7 71:6 72:1 late 67:13 lateral 63:21 lead 12:15 60:23 69:11 leadership 8:13,13,14 11:16 leaking 63:20 learned 18:12 78:6 leave 66:5 74:2 leaves 58:24 led 46:22 left 45:23 66:2,3,24 legal 80:15 legwork 51:19 Len 70:13,17 70:17 71:4 71:10 72:15 79:22,24 lengths 59:22 lenient 75:9</p>	<p>lens 16:5,11 let's 33:24,24 40:23 42:10 52:24 letter 75:22 level 13:21 32:10 39:6 41:10 49:19 53:7,14,17 levels 27:1 53:13 54:10 56:11 leverage 77:14 leveraged 16:24 leveraging 20:13,18 Liberty 14:11 License 87:3 lids 54:25 lie 45:15 lies 52:7 life 8:11 11:1 13:20,23 19:10 49:3 79:19 lifespan 82:4 light 14:11,25 limitations 61:8 limited 20:2 68:12 76:22 limitless 25:5 25:16 line 38:4,8,14 40:12 58:4,4 58:15 68:13 68:15 82:5 linear 63:4,5 lines 67:24 links 18:19 list 4:22 28:17 59:4 listed 15:8 listen 6:12 listened 44:18</p>
<p>K</p> <p>K 3:1 keep 33:19 49:25 52:3 Keeper 79:23</p>			

listening	34:12,18,23	lower 26:1	54:25
44:25	34:24 35:8		manholes 54:14
little 26:21	36:10 40:23	M	54:19,24
28:6 48:19	56:19 58:16	magnitude	55:7,10
48:25 59:17	59:5 65:10	47:18 49:21	56:25
67:13 75:9	66:20 67:23	52:16 64:15	manpower 51:15
live 34:1,4	72:1 73:1	64:22	manuals 12:21
load 80:20,21	79:16	main 14:4,5,7	mapping 14:19
loads 25:17	looked 39:13	81:23	30:3
26:1 71:15	39:14 40:10	maintained	maps 50:19,22
73:2 80:3,22	41:1,3 51:6	12:22 22:19	54:15 56:6
local 10:5	55:6 68:21	maintenance	59:16
16:9 46:15	looking 8:12	12:19,24	marathon 21:12
47:10 52:21	8:13 19:23	14:22 18:11	March 44:20
58:11 68:3	21:10 28:7	50:19	mark 44:20
localized 48:6	30:12 34:13	major 20:7,7	market 81:12
locate 13:18	34:18 36:2,7	20:13 56:13	84:14,24
located 25:4	36:24 38:22	making 9:21	marketing
26:11	43:3 51:4,7	35:24 51:13	65:11
Location 1:9	62:10,11	52:25 54:7	Martin 3:6
long 5:8 6:22	69:9 70:21	man 5:13	4:13 5:15,21
10:8 11:11	71:4 72:3,7	manage 13:6	6:5,6
11:14,22	82:6	15:10 24:12	Martin's 26:16
12:15 16:8	looks 32:17	78:20	Massachusetts
21:4 29:1,2	71:2 72:12	managed 19:13	37:19,20
29:6,15,17	82:9	management	39:12 72:19
29:20,25	lot 6:7,11	5:20,24 6:2	master 57:12
31:7 45:22	8:13 9:3	10:3,4 11:8	match 16:23
69:10 70:7	27:24 30:10	11:9 13:12	material 55:6
75:10 76:25	30:11 50:18	14:2,22 15:3	75:13,13,21
77:18 78:12	50:19,20	18:7,16,24	math 61:5
82:4,22	51:19 54:16	20:20 24:8	65:21
long-term 9:7	54:21 55:7	30:2 35:5	maximum 32:5
13:12,24	69:15 72:21	72:9 77:12	71:15 80:3
14:21 15:4	81:5 82:3	78:18,21	80:19
16:1,11 19:3	83:23,24	managing 15:3	mayor 52:12
20:21 21:12	84:3,5,8,11	mandate 27:4	mayors 17:25
52:5 53:2	84:15,24	mandatory	mean 72:25
54:4	low 27:2,4	76:19	73:21
long-time 23:9	60:14 61:8	manhole 54:12	means 34:20
longer 37:8	low-hanging	54:15,23	80:21 86:1
68:7 75:1	28:13 70:23	55:12,14,15	measure 53:15
look 7:2 22:2	low-impact	55:19,22	measures 18:9
28:3 32:23	18:25	56:7,11,16	mechanism
32:23,24,25	low-lying	57:16 60:7	15:16 63:19
32:25 33:1	55:12	manhole's	median 27:2

38:6,12 41:2 41:11,12 42:25 meet 12:10 31:9 35:9 46:2,3 57:1 70:24 80:7 82:22 83:5 meeting 8:9 71:17 72:17 81:2 86:5 meetings 52:10 52:12 57:4 member 8:24 12:7 51:10 62:18 members 2:6 4:20,24 5:1 5:4 23:15 50:7 mentioned 6:22 13:11 36:25 merger 23:12 met 50:7,9 61:13 62:18 71:12 80:17 meter 53:14 60:6 meters 59:18 60:5 61:8 MICHAEL 3:8 Michele 28:7 microphone 67:17 mid 46:9 Mike 4:15 44:6 49:5 55:16 59:12 61:1 mikes 67:5 mile 61:1 68:14,14,16 million 16:18 16:20,22,24 17:10,14 38:25,25 39:2,3,19,22	39:25 40:5,9 40:15,20 41:8,14,17 41:18 42:19 42:20,20 64:3 65:22 81:25 82:1 millions 26:14 26:15,15 66:7 83:8 mind 11:12 49:25 69:19 mini 59:18,20 minimal 28:14 minimize 14:20 14:22 36:12 Minimum 28:21 29:5 minutes 57:7 67:8 75:7 MIRIAM 87:3,18 missing 67:22 mix 5:2 mobile 17:3 model 77:19 modeling 29:8 30:12 42:2 models 36:3,3 molding 51:24 51:25 money 16:8,25 65:15,16 82:10 84:6 monitoring 29:8,12 30:11 37:13 53:10,19,21 59:16 Monmouth 17:2 44:7 month 10:23 28:9 months 35:22 36:2,7 37:5 37:7 45:21 morning 6:6	39:22 75:14 move 4:17 22:3 22:5 24:22 24:25 25:12 34:15 37:10 45:9,12 48:22 53:5 59:12 66:4 85:7 moved 17:4 25:14 moving 8:17 45:3 49:25 63:18 mpd 49:17,18 MS4 82:20 MUA 12:14 multi-year 12:7 multiple 46:22 62:22 Municipal 20:8 municipali... 8:8 10:17,19 11:5,10 12:10 17:20 21:6 27:21 38:3 45:15 69:12,14 78:8 79:4,12 82:21,23 83:11 84:19 84:22 municipality 51:11 82:13 muscle 20:10	necessarily 25:20 30:8 32:2 34:6 48:7 necessary 13:17 20:10 32:11 51:3 55:25 71:21 76:24 need 8:19 9:22 12:22 13:3 13:18,21,21 13:22,24 14:2 16:3,6 16:6 19:4 20:25 21:4 21:12 25:17 26:19,23,25 29:25 33:6 35:24 40:16 41:7,20 52:15 54:3 65:12,12,16 71:11 80:24 81:1 82:22 needed 16:2 40:11 45:6 47:5,9,20 79:1 needs 5:13 9:7 16:11 21:1 29:6 31:2 33:7 35:10 35:11 46:4 77:2 negative 54:9 neighborhoods 19:20 net 53:3 65:22 66:21 never 27:20 66:11,22 68:5 new 1:1,6,13 1:23 2:6 4:3 6:9 7:10,16
--	--	--	--

7:24 8:6	Notary 87:4	office 10:3,4	78:20 79:15
15:19 16:13	note 14:3	55:3	opposed 42:5
17:23 18:5	49:14 75:10	official 58:22	52:19
19:11 21:20	85:25	58:24 75:3,6	optimal 36:17
21:23 23:18	notes 87:7	officials	optimize 36:11
34:3 37:24	notices 57:3	58:11 59:4	77:11
38:3,17 39:7	November 14:6	79:8	option 32:9
43:15,16,17	nuisance 15:15	offshore 45:24	oral 75:7
46:2 50:4	number 15:7	68:16	order 25:23
63:16 69:9	30:17 37:22	Oh 70:17	31:6 52:15
70:18 72:20	38:11 60:25	okay 25:8	64:15,22
76:7,13 77:2	64:8,19	28:14 33:24	orders 33:13
77:4,9,20,23	68:23	40:20,23	34:3 47:18
77:23 78:1,7	numbering	41:24 42:10	organization
79:14,23	54:16	43:3 44:1	76:15
81:15,16,19	numbers 26:17	53:4 74:12	organized 9:14
82:19,25	26:20 39:21	75:2	79:13
83:9,18	42:24	older 55:8	original 87:6
84:15,21	nuts 48:25	once 37:9	originally
87:5		45:22 48:11	52:19
Newark 12:12	O	66:23 67:10	outcropping
15:19,22	O2:1,5 3:1	81:20 86:9	46:10
newer 50:14	O&M 28:18	onsite 52:25	outfalls 14:7
news 81:4	objective	78:23	outflows 39:1
newspaper 57:4	24:19	open 67:5	outlined 77:7
night 61:7	obligations	85:12	outreach 37:1
nine 10:19	69:14	opening 3:4	outside 10:9
14:7 28:14	obstacles 21:8	4:12 44:19	18:19 25:3
28:21 29:2,4	obvious 24:15	operate 18:13	40:16
35:22 36:7	obviously 38:5	28:3 30:13	overall 10:12
NJ 78:17	67:13	operated 48:7	17:11 20:10
NJPDES 10:11	occasionally	operation	21:19 50:2
10:17 18:3	43:5	12:19 18:10	overcome 83:16
27:20,21,22	occasions	operational	overflow 4:9
non-combined	46:22	29:11	22:24 39:3
23:2	occur 26:23,25	operations	overflows
non-CSO 41:19	35:19 36:22	47:4	19:19 23:4
42:10,13	68:7	operators 11:3	25:24 31:4
non-struct...	occurred 23:4	17:25 50:10	31:12 38:6
18:23	45:4	50:21	38:12 76:17
nonpartisan	occurring 26:2	opinion 70:10	overnight 9:7
76:14	68:2	opportunities	62:11
nonprofit	odors 19:19	18:2 19:12	owned 48:7
76:14	offered 17:17	opportunity	owner 12:20
normal 80:25	offering 11:19	25:5 44:14	59:1 84:5,8
83:12	offers 78:19	44:15 76:12	owners 11:3

owns 47:23 58:5	15:24 64:4 partnerships 79:7,10 parts 22:22 41:19 Passaic 28:4 Paterson 12:12 38:9 path 51:8 pathogens 83:4 Paul 43:5 paved 54:19 pay 43:5 48:18 65:23 84:3,6 paying 48:15 66:7 84:9 pays 84:1 peak 49:7,8 64:20 73:10 73:11 peaking 47:17 65:2 peaks 64:21 65:5 73:17 penalties 33:14 people 6:24 23:23,24 57:23 65:20 75:5,11 81:12 82:11 83:20 84:2 84:15 85:11 people's 57:25 percent 17:17 38:7 41:11 41:12 42:15 42:16,17,25 50:2 64:17 73:21 74:4,5 percentage 38:13 perform 36:5 performance 31:9 performing	37:14 period 16:5,8 21:10 22:19 29:16 39:1 54:5 64:9,10 64:11 periods 26:7 29:21 46:17 60:14 permanent 82:6 permit 11:7 15:8 18:21 49:24 77:20 78:1,13 permits 10:10 10:17,20,21 10:22,24 18:3,4 19:8 19:22 27:13 27:15,18,20 27:21,22 28:1,8,25 29:15 30:22 30:23 79:2 82:20,24 83:1 permitted 7:13 39:24 permittee 34:4 permittees 10:6 13:18 15:8 17:20 18:1 19:2,25 21:7 22:3 77:25 79:7 permitting 9:16,19 10:10,11,14 10:16 22:18 34:6 person 5:11 76:6 perspective 43:15 70:22 Peter 43:5 Ph.D 2:2 3:7	phase 49:4 50:15 53:19 53:21 54:11 54:12 56:9 59:12,15 60:24 61:12 phases 53:22 photo 4:7 57:14 61:18 physically 54:22 picture 60:5 71:7 72:2 pictures 57:2 pieces 9:12,13 pipe 14:13,16 48:10 50:14 55:22 59:9 59:22,24 60:1 61:1,11 61:21 62:15 62:16 63:4,5 63:12,14,16 63:17,19 82:4 pipes 53:9,12 53:20 81:19 82:8,15 83:25 place 6:22 36:10 39:19 56:16 59:18 87:7 placed 60:4 placement 63:12 places 23:4 plan 10:8 12:16 31:7 33:2,8,25 34:19,23 35:12,15,25 37:6,13,14 37:16 38:24 39:12 41:21 42:9,11,14
---------------------------	---	---	---

42:14 43:10	72:20,20	practices	prevention
43:24 52:16	75:2 85:13	18:11,16	28:19
70:7 72:3,20	police 54:17	77:18 81:10	preventive
78:12	56:24	pragmatic 16:6	12:24
planning 12:2	policies 6:15	16:7	prevents 58:25
18:9 24:8	6:21	precautionary	59:2
32:19 33:23	policy 7:4	18:9	previous 23:12
42:1,7 49:4	20:24 22:2	precipitated	34:10 61:15
69:7 70:20	76:7,16	47:1	previously
71:12 76:7	80:10	preparation	50:12
80:13 85:8	political	18:9	primarily
85:20	77:15	prepared 55:4	25:13 50:23
plans 11:12,14	politician	62:20	primary 35:8
11:21,23	81:21	preparing	45:18,20
29:1,3,7,11	pollutant 80:6	51:20	68:12
29:15,17,20	pollutants	present 55:10	principal
30:1 35:13	26:1 81:9	75:1	11:20 17:15
51:20 62:20	pollution	presentation	17:17 23:14
69:10 77:1	28:19 32:5	22:25 23:6	principles
77:19 82:22	80:5,19,22	44:25 45:1,2	20:22 77:7
plant 11:8	81:7 82:14	67:21 69:7	prior 38:22
34:21 40:13	poorly 19:13	presentations	49:15 61:20
46:20 47:19	Population	22:22 52:13	65:1 68:3
49:6,10	38:5,10	75:15,15	73:16 85:17
65:13 66:10	portion 4:19	presenters	priorities
68:10,11,14	67:12 74:23	23:7	7:10
69:11,13	75:3	presently	prioritiza...
plants 10:18	position 65:11	16:20	33:6 42:6
10:19 11:6	positive 53:3	presents 58:2	prioritize
11:10 12:20	65:22 66:22	pressing 33:10	20:2 41:21
25:19,20	81:5	pressure 16:9	71:8
26:6 45:19	possible 24:21	presumed 31:10	prioritized
45:20 46:1,3	25:1 31:14	31:19	43:2
play 8:16 70:3	31:17,23	Presumption	prioritizing
players 20:7,8	55:19 83:6	31:8 39:16	29:10 72:5
please 28:11	post 18:4,12	41:25 80:8	priority 7:24
28:23 29:23	22:16,17	80:11	pro 15:20
31:5 32:20	posted 75:16	pretreatment	probably 26:19
33:16 37:25	75:25	10:15	28:9 36:1,6
40:22 76:8	potential 13:2	pretty 51:1	36:22 38:16
plight 52:14	46:23	53:24 54:24	55:1 57:22
point 9:23	potentially	56:5,12 61:6	60:17 65:3
11:18 33:18	41:18 81:11	61:22 63:16	67:10
42:21 48:8	poverty 38:8	64:2 67:14	problem 22:4
55:19 56:3	38:14	80:23	27:5 35:5
68:5,24,24	power 18:7	prevent 55:15	49:21 50:8

50:11 52:7 58:3,8 66:25 81:14,15,17 81:18,18 82:17 83:17 problems 15:24 20:1 34:22 46:15,16 48:6 65:13 65:17 83:17 84:1 proceed 53:18 process 19:2,3 20:24 24:10 27:13 30:15 33:15 34:15 36:14,21,23 37:3,5,17 38:22 43:21 45:8 48:25 62:10 77:17 81:4 processes 68:12 procrastin... 38:22 program 10:11 10:11 12:6 12:18 13:14 16:2,14,15 16:16 22:18 28:12,22 32:14 37:12 39:19 42:8 42:11 43:12 49:24 51:25 51:25 54:4 59:3,8 66:2 73:10,24 74:1,6 78:8 programs 16:6 24:7 28:18 32:15 40:11 66:15 84:23 progress 8:3 9:1 72:21	project 12:9 14:20 16:25 35:22 49:2,3 49:16 51:12 52:4,11,19 54:12 61:18 64:7 65:22 65:24 projects 14:23 17:1,9,11,12 17:15 43:2 51:22 62:20 62:22 71:8,9 72:6 78:19 promote 18:24 promotes 76:15 proof 32:10 Proper 12:19 properly 81:7 property 19:14 19:16 protecting 7:23 21:22 protection 1:2 1:9 5:7 18:7 77:21,22 prototype 38:17 proud 6:9 provide 6:13 10:24 18:18 19:11 20:3,9 32:6 45:14 53:3 69:18 79:2 81:5 85:15,19,20 86:4 provided 12:9 54:8 78:10 78:13 provides 15:16 18:16 43:12 providing 11:22 17:21 18:5 44:22 75:18 79:21	provision 18:23 public 1:7 3:10 4:4,17 4:18 5:4,4 18:22 19:15 19:22,24 20:1 28:20 30:14 44:21 44:22 52:13 52:17 54:18 55:20 57:4 58:6 67:12 74:23 76:24 87:4 publicly 61:18 published 77:6 pump 40:12 47:24 60:20 61:3 72:7 pumping 14:6 17:3 46:23 48:2,11 61:3 pumps 61:3 purple 47:25 purposely 57:22 push 21:9 pushed 53:20 put 4:6 6:19 16:8 21:12 25:24 26:21 29:12,13 30:11,12 33:7 36:10 39:12 42:11 48:10 50:23 55:13 57:4 62:24 72:2 81:24 82:6 83:14 puts 83:24 putting 18:3 29:14 PVSC 12:3,5 20:8	Q qualify 64:20 qualitative 68:24 quality 1:10 7:23,23 8:11 10:25,25 19:9 32:4,15 35:16 36:11 38:23 42:2,4 42:16 70:24 71:17,24 72:3,17 73:3 74:7,9 79:19 80:5,7,17 81:2 82:23 83:4,5 84:16 quantified 68:5 quantify 64:20 quarters 82:1 question 40:2 69:1,5,8,19 70:11 71:14 71:23 72:16 73:9 80:2 questions 44:1 44:2 67:3,8 67:15 73:6 74:19 quickly 24:20 25:1 52:22 79:25 quite 24:1 27:2,15 30:15 31:1 57:1 59:24
R			
R2:1,5 3:1 87:1 rail 14:11,25 14:25 rain 84:11 raise 77:11 ran 51:8			

range 26:14 40:9,20 41:14	22:16,16	redundant 24:15	relatively 84:5,10
rapidly 22:5	recognize 7:12 8:8 48:13,15	refinancing 64:7	remainder 22:21
rate 60:11	49:20,21	regard 6:1	remaining 13:20
rates 15:12 55:9 66:1	recognized 4:25	regarding 73:10	remediate 62:12
raw 15:1	recommenda... 55:13,17	regardless 32:14	remediated 52:22 66:21
Ray 4:14 23:8 23:13,16 54:1	61:15,25 62:19 75:22 75:23 78:2	regenerated 65:20	remediating 56:2
Ray's 44:25	recommended 36:18 37:6	region 9:20 11:17,23	remedies 26:12
RAYMOND 3:7	reconnected 59:7	12:16 73:8	remind 62:9
re-fi 64:11	reconnecting 59:1	regional 8:14 8:19,23	reminded 44:20
reach 85:24	record 27:10 44:4	10:18 11:21 17:2 28:4	reminder 4:7
read 40:11	recorded 53:12	44:7 47:11 47:14,23	remnant 24:12
readily 28:16	records 50:20	48:2 51:10 69:10,18,24	removal 62:15
realistic 16:7	recreational 19:11	70:2,9 79:11 79:12,13	removed 57:22
realize 25:15	red 48:3	registered 76:6 85:12 85:13	renewal 19:9
realized 27:25	redesign 19:20	regrade 84:11	renovating 57:10
really 24:12 26:18 30:17 42:3 48:4,8 50:10,16 52:18 54:3 56:4 60:15 60:16 62:2,3 62:8 64:1,9 66:18 68:2,5 80:14 81:17	redevelopment 78:24	regular 12:23 43:11	RENZI 1:19
rear 70:11	reduce 10:21 12:1 13:2,4 15:11,12 19:12,14,15 19:18 49:6,7 64:8,9 73:14 81:9,13	regulated 33:21 43:8 49:17	reorganized 10:2
reason 24:18	reduced 42:18	regulators 43:22	reorganizing 10:2
reasonable 9:2	reducing 19:14 19:16 32:5	regulatory 9:23 33:20 34:2 43:9,23 46:4 81:17 82:16 83:9	repair 14:12 14:13 55:17
reasonably 32:5	reduction 38:25 42:15 50:2 64:14 64:17 65:4 65:10 67:25 67:25	reinvest 13:25 66:1	repairing 14:21
reasons 11:6	reductions 64:23 73:10 73:13	relate 32:15	repairs 12:25 14:22 45:9 45:11 51:21 51:22 52:25 55:20,22,23 62:1,14,15 62:18,21
reassigning 10:10		relation 38:2	replace 14:12 14:13,15,16 62:7
rebuild 14:16		relationship 9:18,20 21:1	replacement 62:16 63:4
receive 20:1 46:19 75:19			replacing 14:21
received 10:20 16:16,19,19 17:5			report 55:4,5
Recess 74:25			
recession			

56:5	9:15 10:3	70:18	Sandy 16:22
Reporter 87:4	12:6 33:4	road 21:4	18:4, 12
REPORTERS 1:20	76:23	68:21 78:18	22:17, 17
reports 55:3	respond 67:9	roads 54:20	sanitary 23:2
61:25 62:1	response 18:8	rob 43:4	23:3 45:14
66:13	74:20 85:16	role 8:17	45:20 57:25
representa...	85:22 86:8	11:16 12:15	59:2 62:5
26:18	result 49:9, 23	70:3	67:24
representa...	49:24 64:11	rolls 66:8	satisfy 31:10
5:3, 3	68:19	roof 58:12, 14	32:4 36:12
representing	resulted 41:13	58:20	71:24 73:3
76:13	46:5, 24 64:3	room 4:21 7:1	saved 39:25
request 85:17	65:18 68:19	84:1	savings 53:3
require 18:20	results 16:24	Rosenblatt	65:20, 25
19:22, 25	45:10 54:9	76:7, 9, 11	saw 29:4 81:25
required 15:9	63:25 64:2	roughly 83:12	saying 33:12
85:5	retention	row 38:10	39:8 80:24
requirement	78:23	rule 78:21	says 31:11
32:23, 24, 25	retired 67:18	84:22	32:23 33:3
32:25 78:12	return 54:8	rules 18:24	33:20, 21, 24
78:16 82:24	65:23	42:16 75:6	43:3 71:24
83:10	reused 15:15	running 57:8	80:16
requirements	reviewed 61:24	runoff 15:11	scale 59:25
8:10 10:15	revise 37:15	55:15 57:24	scenario 36:17
17:21, 22	revitaliza...	58:19 78:23	37:8 39:15
18:2, 21	76:18	Ruppel 3:8	scenarios
31:10 33:1	revitalize	4:15 44:6, 13	30:13 36:8
34:25 35:8	19:10	48:4 49:12	36:11 37:7
36:13 39:14	RFP 77:19	51:6, 23	39:15
40:17 46:4	Richard 67:18	53:25 55:24	schedule 22:12
72:4, 4 74:17	right 4:22	56:21 57:3	scheduled
81:1 83:11	9:24 14:3	57:19 58:2	12:24
requires 11:7	45:9 51:25	58:16 59:14	scope 10:9
32:10 71:15	57:25 58:15	60:19 62:2	45:8 62:20
78:14	59:11 67:6	63:1, 7, 22	search 76:2
research 76:16	71:4, 18 72:1	64:6 65:7, 9	season 86:12
residents	84:9 85:23	68:1	second 9:16
76:21	ring 64:13	rupture 68:20	23:7 35:9
resin-impr...	rings 59:20	68:23	79:21
63:14	RIOS 87:3, 18	Rutgers 12:5	secondary
resolve 9:7	risks 19:15	Ryan 3:8 4:15	68:12
resolved 24:9	river 14:8, 10	44:6, 16	secondly 52:20
resolving 10:7	15:2 79:22	49:12	section 14:13
resource 10:4	82:2 83:10		sector 44:21
15:14	83:25		46:15
resources 9:4	Riverkeeper	S	see 4:16 6:8
		S 2:5, 5 3:1, 1	

14:23 15:1	18:16 23:7	showed 42:3	situation
20:17 23:23	36:18 41:10	showing 61:19	33:22 35:21
24:2 26:20	57:16 75:21	63:12,18,21	37:24 41:20
27:15 28:10	87:8	shown 47:25	45:4 83:2
28:25 29:18	sets 4:16	48:3	situations
37:13 38:15	seven 49:3	shows 6:14	31:14 33:19
40:25 41:5	64:5,6	34:1 43:21	37:9 41:13
41:19 46:9	sewage 7:15	57:15	six 31:13 36:2
46:10,13	14:9 15:2	shuffling 28:6	49:2 63:2
48:2 53:16	82:1,3	shut 14:10	64:21
56:20 59:7	sewer 4:9 14:4	sic 15:20 50:3	six-month 52:4
59:19 70:8	19:14 22:23	side 9:11,11	sledges 45:22
seeing 34:14	23:4 24:24	14:12 23:1	45:24
57:21 64:22	26:10 30:5	86:2	sleeps 66:23
65:4,25	31:4 38:6,12	Sierra 85:18	slide 28:11
74:21	44:9,10	signal 81:12	31:5 32:20
seek 79:4	45:14 50:9	84:8	33:16,17
seen 14:3	50:21 53:8	signals 84:14	35:17,17
23:24 24:1	56:18 58:1	signed 75:5,11	37:25 38:1
65:1	58:15 60:16	significant	40:7,22
segments 62:16	61:20 63:21	7:14 13:3	43:14 45:12
select 36:17	65:25 76:17	29:14 42:3	47:21 48:22
seminars 17:22	76:20 78:25	64:25 65:4	49:15 63:11
send 63:14,19	81:19 82:15	signs 12:2	slides 75:18
sends 61:21	Sewerage 17:3	silo 32:17	slowly 79:25
sense 84:24	44:7	34:18	small 26:3,4,4
sensitive 29:9	sewers 23:2,3	similar 37:23	53:11 76:22
29:10 36:24	30:6 61:17	38:9 82:24	78:24 84:5
sensor 61:9	62:5	similarities	smart 12:18
separate 44:10	shape 6:15,21	38:15	15:23 76:15
74:14	7:3 22:2	similarity	smoke 56:12,17
separately	54:24	29:3	56:18,20
33:2	share 6:4	simple 12:1	57:2,6,15,17
series 17:21	shared 11:25	14:3 31:18	SMRSA 17:5
seriously 7:21	77:19	65:21 75:4	47:23,25
serve 5:5	sharing 12:12	84:10	48:7 51:2,17
serves 37:21	shelf 12:21	simply 34:3	socialized
37:22 69:12	short 21:10	84:17	83:19
service 11:3,4	66:20	simulate 36:4	software 60:12
13:21 14:10	short-term	simultaneo...	solicited
19:12 44:22	16:10	77:1	47:12
45:14 46:11	show 31:6 32:1	single 7:15	solids 28:19
48:1,6 54:14	32:8 33:11	sister 78:17	solutions 8:25
59:3	35:18,20	sit 82:4	9:3 11:17
services 11:25	39:23 54:9	sites 78:25	76:17 77:5
set 17:14	57:2	sitting 12:21	77:17 79:9

solve 19:6	spoken 57:4	80:17 81:2	stormwater
solving 8:1	spot 62:14	83:4,5	7:14 10:14
somebody 58:18	spring 16:21	standpoint	11:8 15:10
somewhat 44:8	Springfield	74:4	15:14 18:10
soon 27:16	26:20 37:19	start 9:9 23:8	18:23 24:21
28:9	37:19,21	27:16 28:10	32:24 35:13
sorry 11:4	38:2,5,18,21	54:3	69:13 78:18
18:8 65:7,9	38:24 39:13	started 29:20	78:20,21,23
sort 5:13 25:4	41:15 69:7	53:22 67:13	78:25 79:5
34:5 35:18	71:19 72:7	starting 4:13	82:13 83:19
38:1 40:14	Springfield's	49:1	83:19,22,24
70:22,25	40:10	state 1:12,22	84:4,19
71:10 80:4	sprint 21:11	4:8 5:2 6:21	story 45:2,4
sorts 83:25	21:11	7:10,13,23	52:14
sound 79:18	spur 19:8	8:20 14:11	strategic 77:3
source 18:18	SRF 16:14,22	15:19 16:13	strategy 13:24
sources 51:1	17:8 20:13	16:23 21:20	street 1:12
56:13 77:15	SSO 46:15	21:22 22:15	27:14 56:19
80:19	67:22 81:15	23:5 83:20	streets 78:19
South 17:2	82:23	87:5	strengthen
44:6	SSOs 66:19	station 14:6	79:9
space 51:18	67:23 68:1	48:11 72:8	strictly 71:2
spate 4:9	83:13	stations 40:12	Strikingly
speak 22:8	stack 74:1	47:24 48:2	38:9
44:15 76:6	staff 6:1	61:3	strong 5:24
79:25	10:10 51:17	steam 63:15	78:22 79:18
speaker 79:21	70:17 79:8	stenographic	structural
speakers 4:12	stage 72:13	87:7	55:18
4:17 67:5,9	stakeholder	step 24:16	structure
67:16	36:20 37:1,2	36:16 41:24	14:16
speaking 24:6	48:21 63:23	52:9 53:4	studies 51:20
specific 50:9	stakeholders	Stephansen	study 23:18
specifically	47:24 50:8	73:7,7	stuff 28:18
11:15 24:6	52:2,11	stepped 7:19	40:14,16
71:15	61:13 62:19	12:4	82:10
specificat...	63:9 77:5	steps 8:3,4	STURM 69:6
51:20 62:21	stalled 72:21	35:6,25 36:9	sub-code 58:11
spend 6:11,17	Stan 4:6 73:7	36:15 77:8	58:21,23,24
9:15 35:22	stand 4:25	77:10 84:10	59:4
36:2,6 40:5	standard 19:24	store 45:22	submit 85:12
65:15,16	31:18 62:6	stored 15:15	85:14
82:10 83:8	78:22 82:23	stories 18:17	submittals
spending 39:2	standards 1:10	storm 64:24	18:20
42:21	32:4 46:2	73:15	submitting
spent 38:24	70:25 71:17	storms 17:5	86:2
split 81:8	72:18 80:7	26:4,5 64:25	subsections

61:4	15:12 25:11	87:7	ten-minute
subsystem	26:13,19,21	takes 22:11	67:11 74:22
59:24 61:5	28:5 29:8,8	60:9	tend 57:23
subsystems	29:9 30:5,18	talk 6:3 9:9	term 10:8
59:21,21	30:25 35:10	9:13,16 20:6	11:11,14,22
subtract 61:5	36:4,5 40:13	20:20 22:23	12:15 26:10
success 13:7	44:9,10	23:17 24:4	29:1,3,6,15
13:13 18:17	53:10 54:16	32:19 48:19	29:17,20
20:5	56:7,18	59:14 80:1,8	30:1 31:7
successes	57:18 59:8	81:14,16	69:10 70:7
77:14	60:16,21	talked 47:12	76:25 77:18
successful	62:7 68:3	talking 26:18	78:12 82:22
24:10 51:5	73:2 82:16	26:22 31:21	terms 26:1
51:13 58:10	83:18	40:8 44:11	27:17 34:4
78:3	systems 11:8	50:17 51:8	42:4 48:20
sudden 46:14	18:10 24:13	talks 4:14	71:11 74:3
sufficient	24:24 25:13	28:17 40:12	testify 76:13
53:7	26:3,9,10,11	tangible 77:2	79:16
SUITE 1:22	27:9 28:2	tape 53:15	testimony 3:10
summarize 78:4	30:12 45:17	target 32:13	4:18,18 54:1
summer 45:21	47:10 50:9	60:20	67:12 74:23
45:22	55:8 57:20	targeted 73:22	75:6,7,11,12
summers 54:25	59:18 60:5	task 58:8,9	75:19 79:21
sump 60:20	73:20 76:20	taxes 84:2	85:12,14,15
61:2	77:12	team 12:3 19:1	85:18,19,20
supply 20:15		44:5	86:1,2,4,7
74:13	T	technical 12:9	testing 56:12
support 11:23	T 2:5 87:1,1	45:8 78:9	57:2,7,15
12:17 17:19	table 6:20,25	79:3 81:17	thank 4:1 5:1
17:22 52:3	38:10	techniques	6:16,25 7:1
52:18 76:24	tabulate 68:6	78:18	7:5 21:25
77:15 79:3	tag 44:5	Technology	22:7,7,9
84:25	take 7:18 8:2	17:7	23:21,22
supporter 5:24	8:4 9:3,5	TEL 1:24	44:2,14 67:2
supports 10:13	11:16 12:15	televised 61:13	67:4,4 69:2
supposed 83:5	25:6,7 30:15	61:17	69:3,6 74:18
sure 9:23 27:7	37:8,10	televising	74:24 76:8,9
28:7 35:24	42:12,14	60:24 61:20	76:11 79:15
38:4 71:22	44:14 45:6	tell 22:13	79:20 85:9
73:4	48:13 62:24	45:4 52:13	85:10 86:11
surface 10:14	63:13 65:24	52:14 57:13	86:12
24:24	67:8,11,22	58:22 59:19	Thanks 23:20
sustainable	69:11 70:24	telling 9:9	79:24
39:4	74:22 76:3	45:2 58:7	Thanksgiving
swimmable 8:7	taken 7:11,16	template 66:4	81:24
system 15:11	8:2 42:13	ten 65:23,24	theme 8:15

thing 5:17 22:14,20 26:20 34:9 39:6 43:4 49:4,14 51:14 56:4 58:9 81:3,20 things 9:6 12:2 13:9,11 13:16,17 18:12 21:16 28:15,16 29:4 30:13 33:5 34:13 34:15,18 35:7 41:3 43:6,13 46:8 55:5 59:6,9 71:5 82:17 85:6 think 6:12 11:17 23:19 24:5,13,17 27:24 30:7 39:20 43:15 43:16,18 45:1 47:20 51:1,11,23 53:25 58:17 62:25 66:16 66:20 68:1 69:17,17 73:16 74:8 81:15 82:19 83:15 84:13 84:20,23 85:1,6 third 32:18 35:11 thoughts 69:16 thousands 54:23 75:8 three 17:7 36:14 37:7 39:1 62:24 62:25 63:1	67:5,16 73:17 82:1 three-year 29:16,21 threshold 41:9 threw 25:6 throwing 25:23 39:21 ticking 27:16 28:10 tied 58:15 till 28:12 time 1:15 5:8 6:11,17,19 6:23 7:18 8:2 9:4 11:22 14:15 15:1 16:8 19:5 21:10 21:12 22:6 22:11,19 23:24 25:15 26:7 27:12 33:5 42:17 45:18,25 47:15 48:8 49:1,13 50:5 50:23 51:1 52:6,7 56:10 59:25 60:20 62:12 66:8 67:14 72:10 84:10 87:7 timeframe 35:20 timely 12:25 82:15 times 20:6 23:5 25:25 36:21 57:1 64:21 73:12 73:14,17 timetable 35:18 Tittel 85:18 TMDL 72:17,21	72:25,25 73:1 80:24 81:2,6 82:12 83:13 TMDLs 81:3 85:2 today 4:21 6:3 6:9 7:2,7,8 20:6 22:8 23:21 24:7 24:17 28:22 44:15,23 50:1 58:9 66:6 68:6 75:21 76:13 today's 6:3 53:25 toilet 57:11 told 64:12 TOLL 1:24 tomorrow 44:24 tool 66:13 top 55:14 57:16 60:7 topic 5:22 6:3 22:25 total 17:11 35:19 40:15 40:18 64:5,6 71:15 80:3,5 80:19 totally 71:16 touched 47:20 town 55:4 83:7 towns 8:9,18 11:15 20:11 49:21 51:11 63:2 66:14 trade 81:11 traditional 32:21 33:18 34:10 35:2 traffic 51:17 54:17 56:24 training 17:21 transcript	87:6 transforma... 77:9 transmitter 60:9 transporta... 19:17 treat 25:22 45:21 46:20 47:8 48:16 48:17 treated 26:5,8 48:16 treatment 10:18,19 11:5,7,10 12:20 25:19 25:19 26:6 34:21 35:10 40:13 45:19 45:20 46:3,7 46:16,19 47:19 66:10 68:9,11,14 68:24 69:11 69:13 72:9 tremendous 76:20 78:19 trends 41:5 Trenton 1:13 1:23 tried 50:8,10 50:25 truck 61:19,21 true 15:9 64:13 87:6 truly 22:20 try 79:24 trying 4:8 40:24 54:3 72:16 83:9 tube 63:14 turned 52:25 TV 61:21,25 twice 86:9 two 4:14,16
---	---	--	--

9:13 22:22	up-to-date	86:9	76:1 82:18
24:8 31:7	14:19	various 5:3	84:21
32:12 36:8	upcoming 17:5	11:3 23:4,5	wanted 24:23
36:14 39:15	updated 12:22	36:3 38:3	80:1,15
41:10,11	updating 18:22	velocity 60:4	wasn't 56:4
42:25 53:21	upgrade 32:7	60:11 61:10	73:23
68:2 73:14	upgrades 40:13	verses 40:4	waste 25:17,25
73:21 74:4,5	40:14	versus 42:1	wasteload
75:5,10	upgrading	vibrant 59:3	80:20
80:16 82:2,7	34:21	video 75:15,18	wastewater
85:6	urban 19:9	VIDEOGRAPHERS	12:20 13:25
type 59:9	25:13,13	1:20	16:17 18:6
63:25	77:5,9,16	videos 61:23	18:10 20:16
types 68:2	use 15:18,22	61:24	23:10,11
typical 19:24	15:25 16:14	view 9:23	24:21 25:18
41:1 58:12	31:24 56:17	24:14 45:1	25:19 26:6
typically 10:9	57:23 65:25	48:5,21 64:1	32:24 34:21
26:25 31:11	useful 13:20	64:2 68:24	35:10,13
35:21 49:7	24:14 82:4	68:25	45:21 48:10
<hr/>			
U	user 67:1	viewed 16:11	73:23 74:3
U.S 77:21	users 13:3	viewing 16:4	79:12
ultimate 8:6	uses 72:11	violate 83:4	water 1:6,10
ultimately	80:17	violation	2:6 4:3,5,20
6:14 10:21	utilities 8:24	58:22	4:24 5:1,18
46:2 47:13	11:16 20:9	violations	5:19,21 6:10
52:11	78:25 79:12	49:23	7:22,23 10:2
unabated 66:24	84:19	virtually	10:3,12,14
unaware 80:4	utility 8:14	38:14	10:25 12:6
underground	8:20,23 10:6	volume 15:1,11	15:17 16:13
82:9	12:4 17:25	42:15	16:17 17:10
underneath	79:4,13 84:4	vulnerable	18:6 20:15
4:23	<hr/>		
understand	V	W	21:20 22:1
11:2 18:1	Valley 28:4	wait 52:23	23:10,11
70:14,21	valuable 6:16	waiting 9:6	24:12,20,25
71:23 72:15	value 6:13	walk 56:19	25:12,22
84:22	65:19	want 9:9,13,16	31:11,20,21
undertake	Van 2:2 3:5	11:15 15:9	32:4,9,15,22
32:16	4:1,2 22:9	19:8,8,9,10	34:2,25
unique 58:3	44:2,5 67:4	19:12,13,15	35:16 36:11
unit 17:3 60:7	69:4 70:11	19:18,19,24	38:23 39:14
unpleasant	70:15 73:5	21:16,25	40:19 42:2,4
19:18	74:7,13,19	22:13 45:3	42:16 46:1
untreated 7:15	74:21 75:2	50:13 56:20	46:19 53:14
14:9	79:20 85:10	58:19 62:24	63:15 68:10
	85:17,23		70:24 71:17
			71:24 72:3,4

72:17 73:3	31:21 32:3,5	West 14:11	55:20 57:15
73:22 74:7,9	32:8 34:13	western 37:20	75:4
74:13,14,16	40:8 43:3,4	wet 13:4 46:13	workshop 17:24
75:16 76:3	43:10,18,20	46:17 53:23	77:23
76:12 77:5,9	49:25 50:1	willing 12:10	workshops
77:16 79:17	50:17 51:24	willingness	79:11
80:5,6,7,16	58:20,21	43:21	world 18:4
81:1,2,13	62:11 63:22	wind 33:19,22	81:21
82:23 83:4,5	64:22 65:4	wish 6:4	worry 25:9
84:2,16 85:4	65:14 67:7,7	Wolf 39:21	81:21
water-tight	67:10,14	woman 57:8	worsen 66:23
55:14	75:3	wonderful 21:3	worth 16:22
waterfront	we've 5:7 8:2	22:20 86:12	wouldn't 54:8
19:11	9:10,14 10:2	wondering	85:4
waters 21:22	17:14 18:12	72:22	wrap 35:14
83:3	20:22 26:9	worded 78:16	write 75:22
watersheds	27:11 31:1	words 22:12,13	writing 82:19
11:2	38:21 39:25	work 5:25 6:1	written 75:12
waterways 7:15	42:23,25	7:18 8:25	75:18 78:4
8:7	43:9,12	9:17 10:5	85:25
way 9:1 17:4	59:12 64:25	11:11 20:11	www.renzia...
22:4 31:18	75:21 81:19	20:15 21:7	1:25
31:18,24	weather 13:4	21:13 22:1	
43:19 47:6	46:13,17	23:24 27:13	X
48:14 52:10	website 18:15	29:18 33:4	x 1:3,8 3:1
58:11 64:23	18:18 75:16	33:24 34:5	34:11
69:21 71:1	75:20,25	35:20 38:18	XIO2031 87:3
73:1 75:4	76:2,2	50:19 51:3	
76:23 81:12	websites 12:2	51:10,16	Y
82:12,15	wedged 35:19	62:23 66:5	yard 57:23
83:16	week 17:5	78:16 81:6	58:7,20
ways 8:9	64:15,16,24	82:20	yards 57:25
we'll 8:3 9:2	82:7	worked 5:17	yeah 47:22
18:20 26:20	weeks 82:2	25:2 38:18	48:4,24 51:6
29:18 45:5	weigh 55:1	50:23 52:17	56:23 61:24
48:20 67:10	weighing 66:18	working 5:7,9	69:17 70:17
74:21,22,22	weighted 60:2	8:9 9:24	72:24 73:1,3
85:24	welcome 4:4	11:13 13:13	74:11
we're 4:11,12	wells 53:10,11	19:21 21:2,5	year 7:16
5:2 7:21 8:4	went 14:9	21:6,6 27:11	16:15 31:14
8:12 10:10	41:23,25	51:4 71:19	32:3 39:3,17
15:3 18:3,17	42:6 47:12	72:18 77:5	39:24 40:2
19:23 23:5	52:12 53:9	77:17 79:16	44:21 53:23
24:10,18	54:22 56:12	81:6	56:10 64:16
26:22 27:7	61:16 62:17	works 9:23	65:19 66:8
28:8,9 29:13	64:9 74:4	30:18 54:18	75:17

years 5:19	1980s 46:9	41:18	8 65:4
7:17 23:25	1990s 65:3	31st 86:4	800 1:24
24:13,19	1994 80:11	33 1:22	85 42:15
34:14 36:14	1996 85:3	350 16:24	88 38:25,25
37:11 41:6	1998 47:16	36-month 35:19	89 42:14
41:16 42:12	49:15 50:1	368-7652 1:24	8th 17:23
49:3 53:22	59:6	382 16:18	77:23
62:24 65:23			
65:24 81:19	2	4	9
York/New 70:18	29:20 73:8	43:5	9.1 49:17
79:23	2016:5 37:11	4.00 60:15	9:25 1:15
young 49:1	41:16 42:11	40 37:11 41:16	95 42:17
57:7	42:12 57:7	40-year 42:11	98 53:23
	64:17	42:14	989-9199 1:24
Z	20-year 64:10	401 1:12	99 53:24
	20,000 17:12	40th 44:21	
0	20017:10 40:9	410 1:22	
08690 1:23	200053:24	44 3:8	
1	2000s 50:17	5	
142:20	66:2	540:20	
1,500 60:25	200153:24	5.8 50:1	
1.2 16:16	20141:14 4:4	50 17:17	
1.5 65:6,8,9	17:9,13	500,000 11:20	
1.6 17:8	201579:13	17:17 42:19	
1037:10	86:6 87:21	54-inch 14:5	
100,000 40:1	207585:4	81:23	
1147:23 48:2	20th14:6		
11:32 1:15	2110:19 76:19	6	
86:14	2177:13 10:22	63:6 30:17	
116 40:4	22771:22	6.9 49:17,25	
121:14 87:21	233:7	600 40:20 41:8	
12-year 39:1	23041:14	41:17	
12.00 60:14	2538:6	609 1:24	
1510:23	250 16:22	650,000 64:16	
150,000 38:5	41:14	65:18	
1650:1	3	67 3:9	
1938:7 65:3	317:14	7	
19-year 64:10	3.547:17 65:2	764:3 65:21	
1900s 45:18	3023:25 37:11	700,000 14:8	
191062:6	30-year 16:5	65:19,21	
19639:25	30,000 38:7	71 17:12	
197046:6	300 14:8 16:20	76 3:10	
1970s 46:3,7	39:19,22		
19775:8	40:9	8	
1979 85:5	315 40:15		